

UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

12th CONFERENCE ON AIR QUALITY MODELING

TUESDAY, OCTOBER 2, 2019

ENVIRONMENTAL PROTECTION AGENCY
RESEARCH TRIANGLE PARK, NORTH CAROLINA

8:30 A.M.



A G E N D APresentations by EPA and Invited Panelists

Welcome, Overview and Logistics	George Bridgers, OAQPS	3
Current Status of the <i>Guideline on Air Quality Models</i> (Appendix W to 40 CFR Part 51) and the EPA's Preferred Air Quality Models	Tyler Fox, OAQPS	8
Update on AERMOD White Papers	Chris Owen, OAQPS	11
AERMOD Modeling System v19191 Update	James Thurman, OAQPS Clint Tillerson, OAQPS	23
Expert Panel #1 - Treatment of Low Wind Conditions Rick Gillam - EPA Region 4 Bob Paine - AECOM Akula Venkatram - University of California		35
Expert Panel #2 - Overwater Modeling Bart Brashers - Ramboll Holli Ensz - BOEM Jay McAlpine - EPA Region 10 Akula Venkatram - University of California		81
Expert Panel #3 - Mobile Source Modeling David Heist - EPA ORD Michelle Snyder - Wood Environment & Infrastructure Solutions Chris Voigt - VA DOT / AASHTO CES Air Quality, Climate Change and Energy Subcommittee (Vice-Chair)		121
Expert Panel #4 - Building Downwash Steve Perry - EPA ORD Sergio Guerra - A&WMA PRIME2 Committee K. Max Zhang - Cornell		163
Expert Panel #5 - Prognostic Meteorology Bret Anderson - US Forest Service Bart Brashers - Ramboll Ashley Mohr - EPA Region 6		238

1 PROCEEDINGS

2 MR. BRIDGERS: Welcome to Raleigh, RTP;
3 welcome to EPA campus; and welcome to the 12th
4 Conference on Air Quality Modeling. At this time,
5 I'll officially call the public hearing to order. And
6 the first official action I'd like to do is to extend
7 our gratitude to everyone that's sitting in the room.

8 This conference is something that's very
9 important to the EPA and it's your feedback that is
10 what's valuable. All of you have taken time out of
11 your schedule. You have taken the opportunity to miss
12 work, spend resources and spend time away from your
13 family to spend it with us, and so we thank you for
14 that.

15 As I mentioned, it's a public hearing. The
16 Clean Air Act has a Section 320 that requires that we
17 hold this conference every three years. This is the
18 12th. You can do the math. We're pretty close.
19 We're not right on spot, but we -- we do value the
20 input that we get through these conferences. And I
21 have tried to impress upon my colleagues that this is
22 an opportunity for us to listen more and talk less.

23 The focus of this particular conference is on
24 the latest features of the current and preferred air
25 quality models and sort of looking forward on the

1 potential revisions that we need to do to these
2 models. And so that's why we've set the -- the format
3 with a number of expert panels where we're going to be
4 in the listening mode and hearing feedback and then
5 have the public comments from the external community
6 tomorrow.

7 All the proceedings are being transcribed and
8 they'll all be placed in the docket. So that means
9 anything you say will be seen again, but also all the
10 presentations will be available in the docket as well
11 and so anyone that's not here can go back at their
12 leisure and look at them. And since this docket is
13 not part of an official rulemaking, we're not making
14 an announcement that we're doing a response to
15 comments docket document, but, most likely, at some
16 point in the future, we'll focus on having a summary
17 of comments available.

18 So a couple of things real quick. Since this
19 is a public hearing, I need to announce myself. My
20 name is George Bridgers. I'm the Director of the
21 Model Clearinghouse here at the EPA. I'm also an
22 environmental scientist, and I'll be your master of
23 ceremonies throughout the next few days and also your
24 public hearing officer.

25 So far as logistics, most everyone is pretty

1 familiar with the EPA campus. You went through two
2 tiers of security to make it to this room, one on the
3 external of the campus to make it on the campus and
4 then one to make it inside the building. Security has
5 asked for me to just impress upon all of you that the
6 common areas down here and this meeting room, over at
7 the bathrooms, in the café are all well and fine. But
8 should you go up in Building C above the second floor
9 or to any of the other buildings in the facility, you
10 would need an escort. And as always, if you exit the
11 building, even just to take a walk around the lake,
12 you'll have to go through the full security protocol
13 to get back in the building.

14 So far as bathrooms, if you exit the meeting
15 room here on your side and go across the foyer, before
16 you get to the bank of the elevators on the left are
17 the -- the bathrooms. And snacks and lunches, most of
18 you probably saw straight across the hall here is the
19 cafeteria. They do have some snacks during the
20 morning and afternoon and they'll have the full
21 complement of lunch items. We did schedule an hour
22 and fifteen minutes for lunch. It gets kind of busy
23 over there, especially when we have a lot of people
24 coming in. So I invite for the conversations to
25 happen around the tables over there versus in here

1 once we get to lunchtime.

2 The other thing is the emergency protocols. I
3 think everybody understands if the emergency sirens go
4 off that you'll exit the building, most likely. But,
5 typically, in our building, there'll be a public
6 announcement if the alarms go off and they'll give us
7 further instructions. As such time if the alarm goes
8 off, I'll give instructions to the room after those.
9 Most commonly, we would exit out of the room, go up
10 the main set of stairs and out to the small parking
11 lot that's right out in front of the building. It's
12 mostly handicapped parking now. But that would be our
13 assembly area and then we would wait there until such
14 time as we're given an all-clear to come back in the
15 room.

16 As I said earlier with the air conditioning,
17 you can see me. At any time during the conference, if
18 you have any questions, have any needs, find me.
19 There's other EPA folks up here in the front that you
20 can find also that you'll see across the morning:
21 Chris Owen, James Thurman, Clint Tillerson, Tyler Fox.
22 But you can also send me an e-mail, you can slip me a
23 note because I -- I do have those availabilities to --
24 to access your comments as we go along across the day.

25 And the last thing I would like to do, I

1 started with recognitions of all of you, but I also
2 need to recognize a few key people who have made this
3 conference possible and, first and foremost, the staff
4 that surrounds me. I -- I am very active in Boy
5 Scouts and the mantra there is many hands make light
6 work, and this is the same here. The names you see on
7 the screen before you are my colleagues, and they're
8 the ones that really made this conference possible.

9 And so I thank my immediate staff in the Air
10 Quality Modeling Group, but, additionally, we have a
11 number of regional office staff that will be
12 presenting on the expert panel contextually from their
13 background, from their experiences working with the
14 states and applicants. And so it's a heartfelt thank
15 you to the regions that traveled here today and are
16 participating across the conference. We also have
17 some ORD staff that will be presenting, and their
18 efforts are well-noted. And, finally, we have a
19 couple of Federal partners that will be participating.
20 So to all of you, I say thank you on the front end of
21 the conference and I will thank you again tomorrow.

22 I think, Tyler, without further ado, I would
23 like to -- it's my distinct pleasure to invite to the
24 microphone Tyler Fox, my manager, and the group leader
25 of the Quality Modeling Group.

1 MR. FOX: Thank you, George, and welcome
2 everybody to North Carolina and Research Triangle
3 Park. It's a little hard to believe that we're
4 approaching three years under the revised *Guideline*,
5 but I think we all survived and we're flourishing
6 still. What -- what I'd like to just kick off with is
7 to -- to give an overview of the continuing work
8 that -- that we're doing to continue the
9 responsibility and obligation we have to improve -- to
10 improve the models so that they can address the -- the
11 many challenges that you-all have in using them to
12 meet Clean Air Act requirements.

13 It, as George said, takes a number of hands.
14 I don't know if it makes a light lift or not, but --
15 but it is a worthwhile endeavor and, as -- as
16 evidenced by all your participation here, is something
17 that -- that we all can agree on and -- and work
18 towards.

19 I wanted to emphasize the -- the strengthening
20 of our -- our federal partnerships. We've engaged
21 much more so with our federal partners than we have in
22 the past. It -- it's always been a long-standing
23 relationship with the Federal Land Managers, but we're
24 working with the Federal Highway -- FHWA and DOT and
25 other parts of DOT, as evidenced by bring the BETA

1 version of R-Line into AERMOD in the most recent
2 release. That wouldn't be possible if not for the
3 collaboration that we have with our Office of Research
4 and Development; the wind tunnel facility, which is
5 essential to our work; Dave Heist and Steve Perry,
6 who -- and others who were working in -- in that area
7 and -- and helping us to bring that BETA option and
8 hopefully in -- in the near future a regulatory
9 default option into -- into air modeling.

10 We're continuing to work with -- with our
11 partners in BOEM and work towards an evaluation of OCD
12 and bringing in those elements of OCD from a shoreline
13 dispersion and platform downwash perspective into
14 AERMOD for consideration in our next revision to the
15 *Guideline* and update to -- to AERMOD. We're
16 continuing to work with ORD, as well as the external
17 community, on photochemical modeling. We brought
18 ozone and secondary PM_{2.5} analyses into the *Guideline*,
19 provided guidance in order to address those plumes
20 appropriately. Kirk Baker and others have continued
21 to do excellent work. You'll see a lot of that work
22 over the next couple of days and -- and even to the
23 extent of making the information from the hypothetical
24 source modeling that he -- he has done for the MERPs
25 guidance more -- more accessible and more available to

1 you-all and -- and bringing that into compliance
2 demonstrations and the like.

3 We worked very hard, took a lot of years, but
4 we got prognostic -- prognostic meteorological data
5 into the *Guideline*. Chris Misenis and -- and others
6 in the community have been working very hard both to
7 run more and make those simulations and data available
8 to applicants and -- and state and MJOs but also then
9 working with the community to process those data and
10 continue to deal with the challenges in using those
11 data but broadening the -- the available information
12 that can be used for these dispersion models to have
13 more representative met, which was always a challenge.
14 Still is a challenge, but, certainly, we have now
15 more -- more to work with than we had to work with.

16 And there's many others. I could go on and
17 on. In fact, all you have to do is look at the agenda
18 and see all of the areas in which we're trying to
19 focus on and prioritize as we move forward. And if it
20 weren't for the efforts of you-all in this room and
21 others outside of the room, we wouldn't be able to
22 accomplish what we've already accomplished, but also
23 set our sights high for what we need to still do in
24 order to make the models appropriate and -- and to
25 meet those challenges that you guys face in -- in, you

1 know, meeting the requirements under Clean Air Act.

2 So without any further ado, thank you for
3 being here and look forward to all the engagement and
4 the interactions with the panels. Hopefully, we've
5 set it up in a way that -- that will bring out
6 feedback that we need because this is the feedback
7 that we're going to then take and consider what we
8 need to do in revising the *Guideline* and in the next,
9 you know, year to eighteen months consider whether or
10 not we go through a regulatory action to do so. So
11 it's critically important and thank you for your
12 participation.

13 MR. BRIDGERS: Thank you, Tyler. So if you
14 look at your agenda -- you don't have to right this
15 minute, but if -- if you were looking at your agenda,
16 the next couple of presentations are sort of setting
17 the stage as we head into a series of six expert
18 panels. So I'm going to call to the podium Chris
19 Owen, because I believe you have the first discussion,
20 Chris. Chris Owen.

21 DR. OWEN: Good morning. I have a relatively
22 short slide deck on the status of the AERMOD white
23 papers. It is relatively short because we're going to
24 hear a lot more about the details of the scientific,
25 evaluative and developmental work that the white

1 papers frame from the rest of the panels today and
2 tomorrow. The white papers really form the basis of
3 problem statements and set us off in the direction
4 towards finding solutions to those problems, but the
5 information that we're getting from the community
6 today and in the future and other feedback mechanisms
7 we have is really what shapes what we're doing moving
8 forward.

9 So I'm just going to provide an update on
10 where we're at in terms of updating white papers,
11 where they're at, how did we get the evidence and
12 other pieces related to AERMOD development. But we're
13 not going to dive into what the panel is, because,
14 certainly, the panel is going to provide much more
15 detail than I can give you, or you can stand in one
16 chunk for me right now anyway.

17 So -- so the first thing I'm going to tell you
18 is where you can get the white papers. We do have an
19 AERMOD development site now. It's been live for six,
20 nine, twelve months; somewhere in that range. It's
21 kind of hard to find because there wasn't a link to it
22 off the -- the main SCRAM website. There was an
23 announcement when we -- when we first posted it. I,
24 of course, provided this link at other meetings as
25 well. So if you haven't seen it, there it is. Please

1 go there and see what we have to offer.

2 The development site has the original white
3 papers that were released back in 2017. It also has
4 the current white papers, and the current white papers
5 is really the focus. These are living documents that
6 are updated really at any time. We actually updated
7 one in -- just in the last few days, and we'll have a
8 new deposition one, I think, in the next few week.

9 And so these are living documents. It's a
10 living site, and we're updating them as we have new
11 updates to the model and there's new updates to the
12 science. I want to emphasize that the white papers --
13 well, the ones that are up there have been written by
14 EPA. We have developed this format so that we can get
15 input from the community as well. And so there's a
16 white paper template that I've provided. And it
17 really outlines sort of the key pieces of what we see
18 as being essential to outlining an issue via a white
19 paper, and that's really the statement of the issue
20 with the model.

21 The issue can't just be that concentrations
22 are too high. You know, there needs to be an
23 identified technical issue with the model. There
24 needs to be some current scientific development or
25 evaluative work that is ongoing by the community that

1 the white paper should outline. There needs to be
2 some considerations of implementation of a potential
3 update in the model. There's a pretty broad spectrum
4 of -- of how this is described in the current set of
5 white papers, but the bottom line is we need to think
6 about fixing this within the context of updates to the
7 model.

8 So if you're interested in providing a white
9 paper, send me an e-mail. I'll send you a template.
10 You can grab any of the ones that are up there and you
11 can probably figure out the pieces and send it to me
12 and we will absolutely review those and consider those
13 and revise as appropriate and post for the public --
14 post as appropriate for the public.

15 We actually had a penetrated plume white paper
16 submitted in August and that's under review. And so,
17 hopefully, we'll be able to move forward with
18 providing that to the public in the near term as well.

19 So, just briefly, the white papers that we
20 have available, of course, I have a white paper on low
21 wind conditions. Probably the original white paper is
22 our longest standing sort of developmental piece
23 that's still in the model addressing low wind
24 conditions. We, of course, updated AERMOD with ADJ_U*
25 in 16216 with the Appendix W update, but we're

1 continuing to look at improvements for low wind
2 conditions via the LOWWIND keyword.

3 We have several white papers on downwash.
4 There's multiple moving pieces, almost too many pieces
5 to keep track of, but there's a lot of exciting and
6 interesting and really important developmental work
7 that's outlined in the white papers, and, of course,
8 we'll hear about more of that today.

9 We have several white papers on NO₂
10 enhancements, and we probably need to break these out
11 even a little bit more. These detail some of the
12 field studies that have been happening, provide more
13 databases for evaluation of NO₂ methods, describes the
14 new Tier 3 method that's been under development for a
15 few years, as well as the new Tier 2 method that we
16 are scoping out and considering for future release in
17 the model as well.

18 There's a white paper on mobile sources which
19 right now is largely focused on -- on the R-LINE
20 implementation into AERMOD, and, as Tyler mentioned,
21 this is through significant collaboration with our
22 federal partner in Federal Highway.

23 So these are -- these are the white papers
24 that have had a lot of attention in the last few years
25 or there's been a lot of developmental work even in

1 the model. We have another set of white papers that
2 are a little bit more forward-looking. We don't
3 necessarily have updates in the model right now, but
4 these are things that we're working on. In
5 particular, there are several white papers on
6 overwater issues, and so these are downwash effects
7 with lattice structures that are unique to offshore
8 platforms, shoreline and coastal fumigation issues, as
9 well as the parameterization of the marine boundary
10 layer.

11 And these have been addressed at different
12 stages over the last few years, and the white papers
13 provide the information and this background. We do
14 have a -- an -- a interagency workgroup with the
15 Department of Interior to continue to develop and push
16 these issues forward.

17 Lastly, we have a white paper on saturated
18 plumes. This either needs to be expanded, I think, to
19 include a little bit more on plume rise in general or
20 that we need some other white papers that address
21 plume rise because we've seen plume rise be a topic of
22 interest in a number of areas over the last few years,
23 particularly with some model clearinghouse actions
24 related to plume rise and some other interactions with
25 industry on this topic. So there is one there and

1 there's more to come.

2 So this is the ALPHA/BETA slide that you've
3 seen in previous meetings, but I wanted to provide it
4 again as we're talking about updates to the model and
5 just provide a little bit more detail, actually, on
6 the next slide on ALPHA and BETA options. ALPHA
7 options are, of course, the experimental options.
8 They're developmental and we're not intending those
9 for regulatory use. We've adopted to coloring the
10 ALPHA options in a red box, which means, stop, don't
11 use them, please, at least for your permits. Please
12 use them for your scientific development and
13 evaluation work and please share that information with
14 us as you look at those options.

15 And then, of course, we have the BETA options,
16 which we have colored yellow, which means slow down,
17 but you can possibly proceed with the appropriate
18 approval. That approval is, of course, alternative
19 model approval through your regional office in
20 concurrence with the model clearinghouse. And, in
21 general, we've been stating that the way to go from an
22 ALPHA option to a BETA option is that you've met the
23 requirements of Section 2.2 and Appendix W, and I'll
24 actually provide more details on -- on the next slide.

25 And then our -- our -- our intent, generally,

1 with the BETA option is that if it proves to be useful
2 enough for the community in the next rulemaking that
3 we'll graduate that to a regulatory option. Green
4 means go and it will be there for you to use, as
5 appropriate, without any additional approvals.

6 So I've had this question a lot, and so I
7 thought we'd go ahead and -- and lay some of the
8 details out, which are really just abbreviated quotes
9 from Appendix W of what makes a BETA option, how does
10 something move from an ALPHA to a BETA. I mentioned
11 on the previous slide we've emphasized Section
12 3.2.2(e) that there is no preferred model and so
13 there's a list of requirements to get alternative
14 model approval. And, remember, if you're using the
15 BETA option, that's what you're seeking, is
16 alternative model approval. So these are the
17 regulatory requirements for alternative model
18 approval.

19 Over there in 3.2.2(e), there is no preferred
20 model. And in that case, you have to have scientific
21 peer review of a particular technique, and so we
22 generally equate that to a published journal article
23 in a peer-reviewed, refereed publication; technique is
24 applicable on a theoretical basis; that there are
25 databases available to analyze that option. Even if

1 you have something that's theoretically applicable,
2 you still need to evaluate that option, and those
3 evaluations show that the technique is not biased to
4 underpredict.

5 The last one here, protocol on methods, has
6 been established as effectively saying that the
7 information needed to run that model is available to
8 the community to actually use that option. And so if
9 you need the moisture content in an emissions from the
10 stack to calculate the enhanced plume rise from
11 condensation, then that information needs to be
12 readily available in order to use that option.

13 So this is where we focused in the past, is
14 sort of the 3.2.2(e), but there are lots of cases
15 where even though there's a BETA option out there,
16 there is already a preferred model. And so there are
17 different requirements that you will have to meet as
18 well.

19 So the best example for that is downwash.
20 There is a model that accounts for downwash already.
21 It's AERMOD. So if we're going to update the
22 formulation of downwash in AERMOD, then we have a
23 preferred model and we need to meet the requirements
24 on alternative model demonstration when there is a
25 preferred model.

1 In that case, we have to have a statistical
2 performance evaluation that shows that the alternative
3 model performs better than the default model. And
4 this is the crux of a lot of the -- the development we
5 have going forward, is that we can do a lot of work to
6 peer-review something and we can put it in AERMOD and
7 we can have protocols, but we have to have these
8 evaluations that show that that change in the model
9 does not decrease model performance.

10 So keep that in mind as we go through a lot of
11 these talks this morning and this afternoon, that a
12 key piece of moving this forward from ALPHA to BETA,
13 or eventually moving it from BETA to regulatory
14 preferred option, is that we need to have this
15 performance evaluation that is generally applicable
16 and generally shows model performance improvements.

17 And then I wanted to put up here also, as
18 we're talking about moving forward from BETA to
19 regulatory the requirements for a preferred model.
20 And there are more than what I've listed here, but
21 there's some overlap and I just wanted to emphasize
22 again a preferred model has to have a complete test
23 dataset in addition to the performance evaluation.
24 And that dataset actually, according to the regs, has
25 to be there available for release with the code.

1 The model must be useful for typical users.
2 And so if we have a BETA option that really only
3 applies to one facility out there, no matter how
4 useful it may be, that may not be appropriate for a
5 regulatory model option if it's not going to be widely
6 useful to the community or has too many limitations on
7 how it can be applied.

8 And so these are the things that makes the
9 BETA option but ultimately makes a regulatory option
10 as well. Again, a question I've had a number of times
11 and I wanted to lay out our perspective here.

12 This is what's going to move -- Section
13 3.2.2(e) is what we think can move from ALPHA to BETA,
14 but your alternative model approval may also require
15 3.2.2(b)(2), that there's a preferred model in those
16 requirements as well.

17 All right. Last slide I have here, something
18 we've been sharing the last couple of years. Just for
19 a little fun, if you will, what -- what's been hot on
20 SCRAM, so to speak. So George can run some analytics
21 on -- on our -- our part of SCRAM and get some top ten
22 downloads both for .zip files and -- and .pdfs. And
23 so we've been sharing the stats periodically at -- at
24 certain intervals. And so George ran this yesterday,
25 got the number of -- of downloads from the model

1 release on August 21st.

2 And so we've -- you can see here the number
3 of -- of AERMOD downloads. part of the reasons we
4 actually started looking at this was as we've been --
5 we've moved to 64-bit for default executable. We've
6 also provided the 32-bit and we've been kind of
7 keeping track on what the number of 32-bit downloads
8 are. So it's -- it's not insignificant. And so we'll
9 continue to provide that as that number is -- shows up
10 on the -- on the radar.

11 But if you add up downloads of AERMOD.zip,
12 AERMOD_source and AERMOD 32-bit, then you get 1240
13 downloads. This, of course, does not account for the
14 fact that commercial vendors are distributing the
15 executable through their own platforms. So these are
16 just downloads from SCRAM. There's certainly a lot
17 more users out there than what this indicates.

18 One thing that's always been a surprise is
19 SCREEN3 has always made the top ten list.

20 MR. BRIDGERS: Top three.

21 DR. OWEN: Yeah. This time, it was in top
22 three. And, you know, this isn't people using
23 SCREEN3. I presume people already have it downloaded,
24 so the fact that people are still downloading it I
25 think is as much a surprise as anything. And so maybe

1 we need to launch a committee to understand the
2 importance of SCREEN3 to the community, not just to
3 running it but downloading it as we release new
4 versions of the model. SCREEN3, of course, has not
5 been updated -- I don't know how many years, but
6 decades, I would imagine.

7 MR. FOX: '96.

8 DR. OWEN: So if you've already downloaded
9 SCREEN3, you're good with that going forward. You
10 don't need to download it again. So maybe this will
11 drop off our list and we can have a better
12 understanding what's going on there.

13 The .pdfs are maybe a little less interesting,
14 but it kind of helps us understand what the community
15 is interested in learning about. And, hopefully,
16 everybody got a hotel because there were 126 downloads
17 of -- of hotel info. Not as many people as are in the
18 room, but I think folks have been here before, so not
19 everybody needed that.

20 But -- so that is my slide deck, and I'm going
21 to transition over here to James and Clint and they're
22 going to provide an update to the most recent version
23 of AERMOD. And after that, we will launch into the
24 panel discussions.

25 MR. THURMAN: So this will be a tag-team

1 effort by myself and Clint. I'll go over AERMET and
2 then Clint will go over AERMOD updates. Updates to
3 AERMET, there were no changes. We didn't make --
4 make -- have to change anything. AERMET, there were
5 five bug fixes. AERMOD had nine bug fixes, four
6 enhancements, one BETA formulation update, three ALPHA
7 formulation updates. And then we'll talk about some
8 bug reports we've received since the model was
9 released and the workarounds for those.

10 So the AERMET updates, these are the five bug
11 fixes. We made some changes in the PBL subroutine
12 related to when you had ONSITE data with mixing
13 heights but there were no available soundings for the
14 day. There was a logic error. We corrected that in
15 Stage 3. That only affects your ONSITE data or MMIF
16 data.

17 There was a format stating the audit
18 subroutine that was to allow larger values of total
19 soundings reported. Does not affect your output.
20 There was just a reporting bug.

21 I think one of the bigger changes was a check
22 for missing station pressure in FSL data. If your --
23 the first sounding you were processing had a missing
24 station pressure, AERMET would stop and say can't
25 identify sounding type. But if that was not your

1 first sounding, AERMET would merrily go on its way.
2 So we took that check out because it didn't really
3 seem to make sense. And there were also boundary
4 checks on the station pressure. The lower level is
5 700 millibars. We lowered that even more -- to, like,
6 650 -- to allow for higher altitude stations.
7 Obviously, it's not going to make a lot of difference
8 most places. And that only affects the upper air data
9 in the FSL format.

10 Another bug was for precip in the ISHD data.
11 If you had an hour with duplicate observations, if the
12 first observation had precip and then the second
13 observation for the hour was one of the special
14 observations and had zero precip, we didn't replace --
15 we changed it where it doesn't replace the precip. So
16 if you have non-zero, it's not going to be replaced
17 with zero. And this is only important if you're going
18 to run wet deposition in AERMOD. Precip's not used
19 for anything other than that. And that only affected
20 the ISHD data from the Weather Service.

21 And then we modified the OSTEST subroutine to
22 issue an error and abort AERMET if you were reading in
23 temperature differences that you didn't specify the
24 heights. Before, AERMET would issue an error but
25 didn't abort, so you got to Stage 3 and you got crazy

1 errors. So we changed it to where AERMET would abort,
2 and that only affects ONSITE data. And when I say
3 "ONSITE," that's either observed site-specific or MMIF
4 data since that's usually ONSITE pathway.

5 So, I mean, for the most part, you may not
6 have to reprocess data, especially National Weather
7 Service data, but we listed what stages are affecting
8 data types so people can make that decision.

9 Then we'll talk about some bug reports since
10 the 19191 release. Actually, the first one, we got --
11 I'm sorry, the second one. The first one, we got
12 right before the code was released, but we'd already
13 locked the code down and there was a workaround. So
14 we didn't change the code.

15 There's an error when you process subhourly
16 ONSITE data and you're specifying your heights using
17 the HT variable, the measurement heights are not
18 correctly averaged. They're summed, but they're not
19 averaged. Let's say you had a measured height of
20 three meters for four observations for the hour. Your
21 height that comes out of Stage 1 will be twelve, not
22 three, because it sums them up and doesn't average.

23 The workaround is using the OSHEIGHTS keyword
24 and specify the heights and then the HT variable is
25 ignored in the ONSITE data. And we'll fix these in

1 the next release.

2 And then another bug we got after the release
3 was a format overflow when reporting missing variables
4 for the upper air data message files in AERMET. This
5 occurs very rarely. You've got to have a lot of
6 levels in your sounding. It occurs when sounding has
7 more than 99 levels below five kilometers, so it's not
8 going to happen very often. And it only affects the
9 messaging. The EXTRACT QA output file, QA output
10 files are not affected. So the workaround there is
11 just to ignore that error. It's -- you'll see it when
12 you're running AERMET. You'll get these crazy Fortran
13 errors on the screen. So you can go on about your --
14 the QAOUT files and EXTRACT files. And then, like I
15 said, both of these will be corrected in the next
16 release.

17 So now I'm going to turn it over to Clint to
18 talk about the AERMOD updates.

19 MR. TILLERSON: There are quite a lengthier
20 list, I guess, for -- for AERMOD than James had for --
21 for AERMET. So I'll -- I'll run through and probably
22 won't mention every one or I'll kind of lump some
23 together.

24 But for bug fixes, there was a correction to
25 the background units. Whenever you were using an

1 output format other than units of micrograms per cubic
2 meter, then the background units were not changed to
3 the correct format. So that was causing a problem.
4 That's been fixed.

5 A correction to remove background
6 concentrations to wet -- wet deposition output
7 whenever you had background running wet and dry
8 deposition, it would actually add the background units
9 or background concentrations to the wet and
10 deposition -- wet and dry deposition output.

11 Modify the scavenging ratio calculations for
12 wet deposition when using Method 2 dry deposition.
13 You'll actually see some more -- I think James has a
14 presentation on deposition tomorrow. You'll see some
15 more on the deposition and some of the issues with the
16 Method 2 in particular and changes that we've made in
17 the model in terms of the status of the Method 2
18 deposition option.

19 Imposed minimum release height of two meters
20 and reference wind speed of one meter per second for
21 buoyant line sources, because the algorithm for BLP
22 was not really developed for, you know, low sources or
23 low wind speeds, we imposed these limitations in
24 AERMOD whenever you run a buoyant line source.

25 The next three or four there are just

1 corrections to the output summaries. They did not
2 have anything to do with actual concentrations or
3 changes in what you see in the concentrations or
4 results but just in the messaging and some of the
5 summary files that would be output.

6 And then the elevation unit keyword has now
7 been applied to LINE and BUOYLINE sources. I think
8 that it was implied, but you had to put your elevation
9 units in meters. Now you can put them in feet and it
10 will make the conversion for you.

11 So enhancements, the ARM2 has been enabled
12 with BETA R-LINE and the ALPHA R-LINE. We'll talk
13 more about that in a minute, those BETA and ALPHA
14 options, but ARM2 has been enabled with those two
15 options.

16 The EVENT processing has been enabled with
17 BETA RLINE and ALPHA RLINEXT as well. And URBAN
18 option processing has been enabled with BETA RLINE and
19 ALPHA RLINEXT.

20 And so for the ALPHA and BETA formulations
21 that had been added to the model, you've heard Chris
22 talk about the source types. The RLINE source type
23 and the R-Line model has been added as a BETA option.
24 The RLINEXT source has been added as an ALPHA option.
25 And when you use the -- the RLINEXT, you also have the

1 option of depressed roadways and solid barriers. So
2 just want to make sure that we point out that
3 distinction, that RLINE is BETA, RLINEXT is ALPHA.
4 And the RLINEXT really refers to RLINE Extended.

5 Building downwash options, we're going to have
6 a panel later this afternoon on building downwash
7 where we will talk more about this and we'll hear from
8 some of the building downwash experts. But we have
9 added three options that were developed by ORD, Office
10 of Research and Development.

11 We've added three options that were
12 developed -- developed by the PRIME2 subcommittee of
13 the Air and Waste Management Association. And we've
14 also released a draft of BPIPFRM as 19191 draft to
15 help facilitate the evaluation of these options. So
16 for the BPIPFRM draft, that is not out there to use in
17 regulatory applications. It's -- the changes were
18 very limited. They're very limited to simple,
19 rectangular, one-tier -- single-tiered structures.
20 But because of the work that ORD and the PRIME2
21 subcommittee did -- and their evaluations used either
22 that BPIPFRM draft or a comparable method -- we felt
23 like it was necessary to release that so that you can
24 use that to duplicate/replicate those results. So we
25 do want feedback on the BPIPFRM draft and the changes

1 that were made to that as well as these -- these ALPHA
2 options -- downwash options.

3 And I'll just say that, for the most part,
4 these options can be combined, mixed and matched in
5 different ways in the model. There are a few caveats
6 to that and the model will stop you if you try to
7 combine something that can't be combined. Again, the
8 Method 2 particle and gas deposition has been changed
9 to an ALPHA. It previously was a non-DEFAULT option.
10 Some work that James has done now has led to making
11 that -- and, again, you'll hear more about that
12 tomorrow -- making that an ALPHA option.

13 And then the URBAN option processing has been
14 enabled with the BUOYLINE source. But just to point
15 out that URBAN option with the BUOYLINE source, the
16 buoyant line source is an ALPHA option. So you can
17 use the BUOYLINE source as a non-DEFAULT, but you have
18 to use the ALPHA switch on if you want to use the
19 URBAN option.

20 So bug reports, there's been one bug report
21 since the release, and this had to do with the buoyant
22 line source and the -- the order that you put your
23 sources. And it's only applicable if you're running
24 multiple source types and neither of those sources is
25 an URBAN source, then the order that you have your

1 sources listed does matter.

2 And there is a workaround, and the workaround
3 is that the BUOYLINE source should be listed as the
4 last source when no URBAN sources are modeled. And
5 just so you don't get hung up on that, then if you
6 just always make it a practice to list that source
7 last, then that will -- that will take care of it and
8 you won't have to worry about whether or not it's
9 doing something that it shouldn't. And then that will
10 be corrected in the next release. And then that's all
11 I have.

12 MR. BRIDGERS: Thank you. Thank you, James.
13 And also thank you, Chris.

14 Those that know me know I try to run a tight
15 ship on time, and we're actually a few minutes ahead
16 of schedule, which is great. What I'll tell you is
17 we'll try to stay within our time blocks, and whatever
18 we run early on, then we'll tack on to lunch so that
19 you guys have a few more minutes for lunch.

20 I've been in the back of the room. It sounds
21 like the audio is okay in the back of the room. I've
22 also seen, much to my pleasure, that most of our seats
23 are full. We set up 192 chairs plus this front row
24 last night. That's about 40 more than we had
25 registered. And so we're going to have a Hunger Games

1 because there are six beautiful seats up here on the
2 front row on the left. It would be to your right.

3 We're going to open those up if people want to
4 spread out a little bit at the break and we'll try to
5 get a few more chairs brought up because it's nice
6 that we have a larger crowd than anticipated.

7 So now we're going to transition to the expert
8 panel portion of our day. It will take me just a
9 second -- I apologize -- to get the panels up. And
10 each of the panels will be moderated by EPA staff, but
11 then the actual panelists will be from academia, from
12 the stakeholder community and from our Regional
13 Offices.

14 I will note, and I think each of the
15 moderators will also note, we're going to have some
16 introductions and then each of the panelists are going
17 to respond to a series of charge questions that we
18 gave to them several weeks back. For your benefit, we
19 printed those and those are on one of the handouts
20 that you have so you can refer to them.

21 At the end of each session, we may have a few
22 moments for some questions. Now, that being said,
23 this is a public hearing. We're not going to get into
24 a big back and forth. But if there are questions for
25 the panelists of the EPA or clarification for anything

1 that they said during their response to the charge
2 questions, we might be able, if there's time, to
3 entertain that. But, otherwise, if you have comments
4 to the EPA, we'd offer that you give those tomorrow
5 during the open session in the afternoon.

6 Without further ado, I'd like to introduce
7 back to the podium Dr. Chris Owen. Come on up, Chris.

8 DR. OWEN: So I'll ask you to bear with us as
9 we sort of feel out the -- the best way to -- to
10 administer these panels. I'd certainly invite -- like
11 to invite the panelists for the low wind conditions to
12 go ahead and come up. George will be putting out a --
13 a nametag for you -- or a name card for you here at
14 the front of the audience.

15 I'm going to give a -- a quick overview and
16 then Clint's actually going to -- panelists, one's
17 going to be over here. Other panelists who are coming
18 later, we're going to tag-team. One of us will be
19 down there to help with time management. The other
20 one will be up here to help with slide show
21 management. There is a clicker that we will give the
22 panelists for those who have slide decks.

23 So I'm introducing the panelists before they
24 sit down, apparently?

25 MR. BRIDGERS: Well, we're going to blank the

1 screen so it's not in Rick's eyes.

2 DR. OWEN: Oh, okay. Oh, once he's sitting?

3 MR. BRIDGERS: Once he's sitting.

4 DR. OWEN: All right. So they're going to
5 wait for me, I guess, to do my spiel and then they
6 will sit after we turn the screen off, although they
7 have slides. So --

8 MR. BRIDGERS: We'll have to work it out
9 unless they -- unless Rick wants to get blinded.

10 DR. OWEN: We could --

11 MR. BRIDGERS: I can put --

12 DR. OWEN: One's going to be up here.

13 MR. PAINE: We can sit here for a while.

14 MR. BRIDGERS: Yeah, that's fine. That's
15 probably a good idea, Bob.

16 MR. PAINE: Yeah, let's do that.

17 DR. OWEN: All right. Low wind conditions.
18 Let me get back to my -- so starting one minute early
19 on the session and we have our panelists almost
20 seated, so we're doing good.

21 All right. So, some background: I wanted to
22 give just a little bit of high-level background on how
23 AERMOD deals with low wind conditions that provides
24 some of the context for where we're going forward.

25 AERMOD accounts for low wind conditions,

1 meander, by interpolating between basically two
2 concentration fields. The first one is the Gaussian
3 plume that we expect from the model that's directed
4 along the wind direction and where we normally think
5 about a Gaussian plume. The second one in it is the
6 random plumes and one called the pancake plume, which
7 is, really, just a circle when the concentration's
8 decreasing with distance. And AERMOD basically
9 averages these two fields.

10 So in the direction of the wind, you'll have a
11 higher concentration from that coherent plume, but
12 you'll also have concentrations upwind of that as that
13 random plume provides some input to the final
14 concentration field.

15 It should be noted, though, that meander has
16 not been implemented for aerial sources, so for point
17 and volume sources, meander's not available. The
18 BUOYLINE source actually doesn't account for meander
19 either. And so there are some limitations to how
20 meander is accounted for in AERMOD. So, you know, as
21 we talk about updates that we need to -- that can be
22 done, it's important to consider how some of these
23 features might affect either just a couple of source
24 types versus all source types.

25 AERMOD 16216, of course, added the ADJ_U*

1 option as a regulatory option, and this was designed
2 to address issues with AERMOD, the tendency to
3 overpredict from some sources under stable and low
4 wind speed conditions.

5 ADJ_U* is based on two different papers, one
6 with delta-T data and one without delta-T data, and
7 we're pleased to have one of the authors of that paper
8 to be on our panel here today to provide more insights
9 on where it can go in the future.

10 We did extensive testing of u* during the
11 rulemaking process. We tested ADJ_U* after comments
12 we got focusing on site-specific turbulence data and
13 whirlwind option. And so there's pages in the
14 rulemaking text that preamble the details of the
15 testing that we did on what was found in those
16 evaluations. And, ultimately, we went with ADJ_U* and
17 left the door open for some of these other potential
18 updates.

19 This isn't totally disconnected from what's on
20 the screens.

21 AERMOD 18081 introduced the LOW_WIND ALPHA
22 option for addressing low wind conditions. And the
23 low wind option has three primary features. It has
24 the ability to adjust the minimum sigma-V value.
25 There's a default in AERMOD of 0.2 liters per second,

1 and then LOW_WIND1, 2 and 3 had several adjustments to
2 this in the past, LOW_WIND1 was 0.5 and LOW_WIND2 and
3 3 used 0.3 liters per second.

4 We also allowed for the adjustment of the FRAN
5 max, which is the maximum value for the fraction of
6 the random plume. And so the default in AERMOD is
7 one, although I don't think the model ever hits that
8 in the formulation, but the default maximum is one for
9 that value.

10 LOW_WIND2 sets up a 0.95 and you can adjust
11 that and then your low wind option to reduce the
12 amount of the random plume that's factored in for low
13 wind conditions.

14 Finally, we have an adjustments to the minimum
15 wind speed in AERMOD. AERMOD has a default of 0.2828,
16 which is maybe a little precise, but that is the
17 number that's in there. But it's also important to
18 note that that default wind speed is tied to the
19 formulation of the model with respect to the minimum
20 sigma-V as shown in the slide.

21 The minimum wind speed was not adjusted in the
22 LOW_WIND packages, but because of the formulation
23 connection with the minimum sigma-V value, we added
24 the minimum wind speed as an adjustment as well.

25 I will say that current EPA testing of these

1 LOW_WIND options suggest reduced model performance.
2 And this isn't final, but to the point of the comments
3 that I made in the white paper slide that we have to
4 show an improved model performance, we need to do more
5 with low wind conditions to find a solution that does
6 improve model performance across a variety of
7 conditions really without reducing model performance
8 in other conditions. It's something that's broadly
9 applicable.

10 So that is my background. Somehow I'll get
11 the slides to change. There we go. As I introduce
12 our panel members -- and I guess they're going to
13 continue to stay off to the side --

14 MR. BRIDGERS: They can come sit. I mean,
15 Rick's the only one that's in the fire of the screen.

16 DR. OWEN: Yeah. I -- I guess I'll ask you to
17 go ahead and --

18 [DISCUSSION OFF MICROPHONE]

19 DR. OWEN: Well, let me -- let me introduce
20 our panel members and apologize for the -- the issues
21 here with this light.

22 Rick Gillam is an environmental engineer who
23 works with EPA Region 4 in Atlanta, Georgia. He's
24 been with Region 4 for 27 years, including 19 years
25 working in air quality modeling.

1 He currently serves as the Region 4 Air
2 Modeling Team Lead, working with four other Region 4
3 modeling staff to manage air -- air modeling projects
4 in the region, including PSD/NSR modeling, SIP
5 attainment modeling, Outer Continental Shelf permit
6 modeling, ozone and PM_{2.5} photochemical modeling,
7 regional haze, air toxics and wildland fire smoke
8 modeling.

9 Rick has a B.S. in mechanical engineering from
10 Ohio State University. Our second --

11 MR. GILLAM: Ohio.

12 DR. OWEN: Hmm?

13 MR. GILLAM: Ohio University.

14 DR. OWEN: Oh. Sorry. Had to make sure Rick
15 was awake. Good job, Rick. You were listening.

16 Our second panelist is Mr. Bob Paine. He is a
17 certified consulting meteorologist who has worked with
18 AECOM for 44 years. Bob has a long history of working
19 with EPA in the development of many approved
20 regulatory models, including OCD, RTDM, CTDMPLUS and
21 AERMOD. Bob was a member of the AERMIC committee and
22 helped design AERMOD.

23 Bob has continued to contribute to AERMOD
24 development on many topics and is specifically engaged
25 with EPA on low wind conditions -- improvements to the

1 low wind conditions in AERMOD since 2009.

2 Our final panelist is Dr. Akula Venkatram.
3 He's a professor of mechanical engineering at the
4 University of California in Riverside. His research
5 is focused on the development and application of
6 models for the transport and dispersion of air
7 pollutants over urban and regional scales. He
8 previously held positions as the Vice President of Air
9 Sciences at ENSR Consulting and Engineering and the
10 Head of Model Development at Ontario Ministry of the
11 Environment.

12 Dr. Venkatram was a member of the team that
13 developed AERMOD and was a principal contributor to
14 the R-Line model as well. Dr. Venkatram received a
15 B.S. degree in mechanical engineering from the Indian
16 Institute of Technology and a Ph.D. in mechanical
17 engineering from Purdue University.

18 So welcome, panelists. Thank you for your
19 participation.

20 [DISCUSSION OFF MICROPHONE]

21 DR. OWEN: I'm not going to read the charge
22 questions. We're going to have them up. They're also
23 printed out. If you did not get one of the -- the
24 packets with the bios and the charge questions, please
25 do so at the next break so you can have those on hand.

1 But the -- to summarize the charge questions that we
2 have, we're looking for feedback on the application of
3 the current ADJ_U* option.

4 We're looking for feedback on the current
5 LOW_WIND ALPHA options that we put out there,
6 particularly any testing and evaluation that's been
7 done with it.

8 We're looking for recommendations for
9 additional formulation changes to AERMOD that haven't
10 been said about the options for consideration.

11 Finally, we're looking for feedback on
12 databases. And low wind databases are particularly
13 hard to find that have all the appropriate inputs, and
14 so we're hoping to identify new databases that can
15 help us in testing the many new options going forward.
16 So with that, I'll turn it over to Rick.

17 MR. GILLAM: Okay. Thanks, Chris. Can folks
18 hear me all right? Okay.

19 Yeah. So, as Chris said, I'm with EPA Region
20 4 Regional Office. So I'll give you a regulatory
21 perspective on these charge questions, and I'm going
22 to focus my remarks on Questions 1, 2 and 4.

23 So jumping right in on Charge Question 1,
24 experience with ADJ_U*, I guess my first point is that
25 ADJ_U* is being used and it's being used a lot. At

1 least, that's what we've seen in -- in our region, in
2 Region 4.

3 As Chris had talked about earlier, with the
4 Appendix W revisions, ADJ_U* was incorporated as a
5 regulatory default option in AERMET. And in -- in our
6 region, anyway, we looked back at some recent
7 permitting actions that we've had over the last couple
8 of years. We've looked -- we looked at over a dozen
9 PSD permit analyses in the region, and in all cases,
10 ADJ_U* was used as a regulatory default option in
11 modeling.

12 And some -- in some cases, the permit
13 application materials discussed the need for ADJ_U*
14 for dealing with low wind conditions; in some cases,
15 not. So in many cases, the -- the use of ADJ_U* is
16 being approved without any additional justification
17 and it's become, essentially, a presumptive default
18 regulatory modeling option in -- in what we've seen in
19 our states in Region 4.

20 Just some additional information to share, in
21 Region 4, we have eight states. Six of those eight
22 states have -- provide preprocessed AERMET data to
23 permit applicants, and in -- in those situations,
24 they're providing both the ADJ_U* and with and without
25 ADJ_U* in most situations. Some states are only

1 providing one or the other in a preprocessed format,
2 but we have a couple of states that are providing
3 both.

4 And I guess the one additional comment I have
5 here is that the state of Alabama here in the
6 Southeast is the only one that is requiring the
7 applicants to provide some type of justification
8 whenever they're proposing to use ADJ_U* in a
9 permitting application, based on our research.

10 So, again, all of that information is focused
11 on the eight states that we deal with in the
12 Southeast. So I'd be interested to know how that
13 compares to the rest of the country.

14 For Charge Question 2, we're talking about
15 experiences with the ALPHA LOW_WIND options. I
16 personally have no experience with the ALPHA LOW_WIND
17 option. However, I do have some experience with the
18 LOW_WIND2, LOW_WIND3 options that were part of the
19 consideration for the regulatory change back when
20 Appendix W was being evaluated.

21 And so I -- I'll relay a little bit of
22 information based on that experience I had with that.
23 There was a -- an SO₂ modeling project for a large
24 chemical plant in Tennessee where the LOW_WIND2 and
25 LOW_WIND3 options were evaluated in -- in addition to

1 the ADJ_U* option.

2 We did -- my colleague here, Bob, did quite a
3 bit of work on modeling to evaluate different options
4 there. We in the Regional Office, working with
5 Tennessee, also did many, many sensitivity runs to
6 evaluate different options and we were essentially
7 looking at that Section 3.2.2(b) improved performance
8 condition for an alternative model. This was back in
9 2015 -- 2014, 2015 time frame.

10 And in this situation, it was -- it's pretty
11 ideal for making that demonstration. There were
12 actually five ambient monitors located around the
13 source in different terrain conditions. There were
14 site-specific meteorology that was collected over an
15 entire year and we had hourly emissions data
16 available.

17 So it was an ideal situation to evaluate model
18 performance. And, actually, in June of 2015, we in
19 the region approved an alternal -- alternative model
20 request for use of ADJ_U* LOW_WIND2 with a 0.4 meter
21 per second minimum sigma-V value based on improved
22 performance over the default regulatory AERMOD
23 settings.

24 Unfortunately -- and this is a -- a point I
25 want to really stress to folks if you're going to go

1 down this road. We later found out that there were
2 quality assurance issues with monitoring the ambient
3 monitoring data and there were questions about how
4 accurate that data was. And it led us to having to
5 retract that alternative model approval.

6 And so one thing I really want to stress is if
7 you're going to be evaluating this, you need to have
8 an approved quality assurance project plan and make
9 sure that all ambient data is collected and meets all
10 of the regulatory requirements in order to make this
11 Section 3.2.2(b) demonstration for an alternative
12 model.

13 I do have one other example I want to briefly
14 touch on. It was, again, an SO₂ source in South
15 Carolina where they proposed to use LOW_WIND options,
16 the BETA option -- the LOW_WIND3 BETA option at the
17 time. And in that situation, there was no
18 site-specific ambient data available.

19 They tried to make the case for the 3.2.2(e)
20 demonstration, and as Chris was talking about earlier,
21 the information -- the peer review and all of that --
22 has -- has not been done to what EPA considers to be
23 an acceptable level. So we were forced to deny that
24 request for an alternative model in that situation.

25 Moving on to Charge Question 4, some remarks

1 about the adequacy of existing databases and potential
2 additional databases, again, I'll go back to the --
3 there is -- there is a significant potential, based on
4 especially the SO₂ monitoring that has been deployed
5 in the recent past and we have a -- a large number of
6 sources around the country that are -- where
7 additional SO₂ monitors have been deployed for the
8 upcoming Round 4 designations for SO₂.

9 I've got a few stats here. There are 54 areas
10 that include 71 sources and 75 monitors around the
11 country where additional ambient monitoring was put
12 out to characterize specific SO₂ emission sources.
13 And so that's an opportunity for doing these
14 additional model evaluation studies.

15 In some situations, there are multiple
16 monitors around a single source. In some situations,
17 a single monitor would assess multiple sources. But
18 all of those details would need to be considered, but
19 they're -- I think that's a -- an opportunity for
20 folks to look at for additional model evaluation of
21 the LOW_WIND options.

22 And related to that, ideally, for a model
23 performance evaluation, it would be best to have
24 multiple monitors nearby, like the situation in
25 Tennessee where there were five, and then also having

1 site-specific meteorology is -- is critical. You've
2 got to have representative meteorology trying to do
3 that based on a nearby National Weather Service MET
4 station that may not be representative, may not give
5 you really a quality analysis.

6 And then well-characterized SO₂ emission
7 sources or the emission source that you're evaluating
8 needs to be well-characterized. And, ideally, you
9 would want to have hourly data from, like, a CEMS unit
10 from a continuous monitoring unit. If -- if not that,
11 then you would need to have a good way to -- to
12 calculate the hourly varying emissions data.

13 So that's what I would see is -- it's the
14 information you would need to look for for additional
15 study databases. And then I'll hit again on the
16 importance of for the monitoring, you need to make
17 sure you have quality assurance project plans and
18 evaluated and approved by a regulatory agency if
19 you're planning to use this for an alternative model
20 demonstration.

21 Again, I would reference back to a couple of
22 examples we have in Region 4. This -- there's a large
23 chemical plant in Tennessee. They are continuing to
24 operate four monitors located near that source. They
25 do have CEMS data. They don't currently have

1 site-specific meteorology. That was only collected
2 for one year on site. But one thing potentially to
3 consider would be to look at prognostic MET data and
4 the use of MMIF with WRF data. That's -- that would
5 be an option. I would -- I would not rule that out.

6 And then we have another example in the state
7 of North Carolina where there is -- it's an SO₂ source
8 again as well where they have site-specific
9 meteorology available and they have hourly emissions
10 data and there is a SO₂ monitor nearby. So these are
11 situations that are -- I would see as options for
12 supplementing the existing databases.

13 There are definitely benefits of the existing
14 databases, the tracer studies, the Oak Ridge study,
15 Idaho Falls study, tracer studies that were referenced
16 in the Appendix W updates. Those are all still useful
17 and I -- I think we would support use of those, but
18 there are options out there for additional studies.
19 So that's the conclusion of my remarks.

20 [DISCUSSION OFF MICROPHONE]

21 MR. PAINE: Thanks for inviting me to this
22 panel. I'm going to talk about the -- all four of the
23 charge questions and provide some thoughts on those.
24 And, basically, these -- these just repeat those
25 charge questions, so I don't have to dwell on this

1 slide too much.

2 It's providing experiences with the new
3 option, the strategy with the LOW_WIND current option,
4 should there be actually -- I'm going to talk about
5 enhancements to that LOW_WIND option for further
6 testing and then more discussion on evaluation
7 databases.

8 Let's review why we're talking about low wind
9 speed issues. One -- one issue is that when wind
10 speeds are low, the dilution is low and you could have
11 high concentrations. But you also are testing and
12 challenging steady-state models because you're --
13 you're assuming that a plume goes in a straight line
14 and could go up to 50 kilometers in one hour. And if
15 you do the math, that takes a fairly high wind speed.

16 So the challenges with the low wind conditions
17 are plumes don't go very far in one hour and the winds
18 are not likely steady, which violates the -- the
19 assumptions of the steady-state model. Now, you hope
20 that the wind would maybe at the second hour go in the
21 same direction, but with low winds, there's a lot
22 of -- of wind shifting.

23 There's also the issue of the coherent plume
24 versus the pancake plume, how do you weight those
25 appropriately and do we parameterize the plume

1 spreading in low winds correctly, even if you have
2 observed turbulence.

3 So what we need to do for a -- a steady-state
4 model like AERMOD is to, you know, not go too hot or
5 too cold but just right in terms of combining a
6 minimum low wind speed and a minimum turbulence so we
7 have a reasonable dilution and turbulence that is
8 well-tested and -- and can be used with confidence in
9 permitting.

10 Now, just to review the ADJ_U* option, we found
11 that in -- in formulating AERMOD, there were some wind
12 speeds below which there was a quadratic equation that
13 didn't have a real solution and we had to adjust the
14 formulation for those low wind conditions. And so
15 that, of course, was not extremely thoroughly tested
16 when AERMOD was promulgated, and -- and with
17 experience, we found that maybe some of those -- that
18 friction velocity needed to be adjusted in those
19 conditions.

20 Now, as you can imagine, when you increase the
21 friction velocity, it was actually -- it turns out it
22 was formulated to be too low in those conditions. You
23 will get more mechanical turbulence. You will get
24 higher mechanical mixing heights; therefore, a higher
25 effective wind speed and lower predicted

1 concentrations. And we found that in the promulgation
2 of ADJ_U* option overpredictions were -- were
3 mitigated with the use of this option. That's why
4 it's popular, I -- I would imagine.

5 But in the implementation of -- of the ADJ_U*
6 option, EPA decided if you had observed turbulence and
7 you wanted to use the ADJ_U* option, you -- you
8 couldn't do both of those. You basically had to
9 select one option or the other. That's why the -- the
10 non-use of ADJ_U* when you have observed turbulence is
11 certainly something to seriously consider. And in
12 some cases, we have opted for that, and I'll get into
13 why that might be the case in further slides.

14 I also provide some comments on convective
15 conditions. Low wind speeds are also present in
16 convective conditions. Sometimes those result in the
17 highest observed concentrations in flat terrain, so
18 it's certainly worth mentioning it. And I'm going to
19 also comment on cases when you do have turbulence
20 measurements and when you do not.

21 So suppose you don't have turbulence
22 measurements. In convective conditions, we see little
23 difference in my experience when you turn on ADJ_U* or
24 not because the convective turbulence dominates the
25 mechanical turbulence. And when the winds are high,

1 there's really no wind adjustment because the ADJ_U*
2 fix is for low winds.

3 So the real issue where it comes in play is
4 low wind stable conditions, where you don't have
5 convective turbulence, all you have is mechanical
6 turbulence. And this definitely plays a part, and you
7 will get, as I mentioned before, a -- a higher
8 turbulence level, a higher mechanical mixing height,
9 more ventilation basically, and so you will get lower
10 concentrations. Generally, if you don't have
11 turbulence data when you use the ADJ_U*, then that's
12 our experience.

13 Suppose you do have turbulence input. Now,
14 turns out that we have found in convective conditions
15 we do pretty well with the parameterized turbulence
16 ignoring the turbulence data. In fact, I've been
17 working with some current projects where if you
18 override the parameterized turbulence in convective
19 conditions with observed turbulence, you actually
20 overpredict.

21 The -- the parameterized spreading of the
22 plume is -- is larger than if you plug in the
23 turbulence. There might be something wrong with
24 the -- the formulation of how you compute sigma-Y and
25 sigma-Z from sigma-W and sigma-V in convective

1 conditions.

2 But on the other hand, in -- in the stable
3 conditions, we find the turbulence data actually
4 improves the model performance over that of ADJ_U*
5 because in -- in stable low wind conditions, the
6 turbulence -- observed turbulence is key to -- to the
7 spreading of the plume.

8 So it's sort of like a dichotomy. We -- we
9 don't really -- we aren't really helped by turbulence
10 measurements in convective conditions, but we are
11 assisted more in performance in stable conditions.
12 And one thing to -- and I'm going to get into this in
13 a few slides, that during the hour, the wind direction
14 can shift.

15 Encapsulating those wind direction shifts into
16 the hourly average of the turbulence data is
17 important. The -- this 15-minute averaging is not
18 going to -- to work.

19 Okay. Let's go into some of the low wind
20 option components. Minimum sigma-V, it's one of the
21 more important variables because it directly affects
22 the horizontal plume spreading. And in written
23 comments that we will provide through various
24 entities, we're going to talk about research papers
25 by, for example, Steve Hanna mentioning that a minimum

1 sigma-V of 0.5 meters per second is giving good model
2 results.

3 We also have an active model clearinghouse
4 proposal to use that for a field study in the Laurel
5 Ridge area of Pennsylvania that's been submitted to
6 EPA Region 3 under -- currently under review because
7 we have a full year of data with several monitors to
8 evaluate that option.

9 For the minimum wind speed, it basically has
10 to be reconciled with the instrument starting
11 threshold, but, basically, a 0.5 meter per second
12 seems to be a good choice. And for maximum meander --
13 this relates to the -- how the weighting function
14 works between the coherent plume and the meander
15 plume. I would say keep -- keep the 0.95 as a default
16 for now.

17 But what to add? I would like to have EPA
18 consider a minimum sigma-W option, because when you
19 look at the meteorological debug output, if you ever
20 want to look at that in AERMOD, you will see 0.02
21 meters per second for sigma-W above the mechanical
22 mixing height. And I've seen data that is rarely as
23 low as that. And if that's what we're putting into
24 the model, that's really low. That's why I -- I would
25 recommend to EPA to add another -- you know, an option

1 for low wind to consider a minimum sigma-W. 0.1
2 meters per second, for example, is used in SCICHEM as
3 well as 0.5 meters per second for sigma-V.

4 Also, AERMOD is very sensitive to the
5 weighting scheme between the coherent plume and the
6 pancake plume. Now, that option -- the option to --
7 to tweak how the -- that -- you know, that -- that
8 dichotomy is done, how you -- how you parameterize the
9 weighting, is not in low wind. We used to have a way
10 to adjust this by the scale and time parameter; that
11 is, the -- what is the time scale of random motions
12 and that adjustment, that factor. And right now, it's
13 set to 24 hours, but in LOW_WIND3, it was -- I think
14 it was cut to 12 hours or something like that. It
15 actually weighted the pancake plume more and now
16 that's been retracted in LOW_WIND. I would like to
17 have what they call BIGT, which is the -- the time
18 scaling parameter for random motions put in as another
19 option to readjust that part of the LOW_WIND
20 calculation.

21 Some research findings indicate that there
22 are -- there are low frequency mesoscale motions in
23 low winds that make the wind direction often just
24 abruptly change every half hour perhaps. Therefore,
25 if you have, like, a ten-minute experiment, like

1 Prairie Grass, you might not see that. You might
2 think that the wind direction is very steady. But if
3 you have a full hourly average, you might see these
4 wind shifts. And these researchers have indicated
5 that the low frequency mesoscale motions become the
6 most important factor for total variance when you have
7 other turbulence disappearing, basically.

8 They also say that when you have a wind speed
9 below a certain threshold, maybe even 1.5 meters per
10 second, you're going to have these wind shifts and you
11 can't really define with an hourly average a -- a
12 steady-state wind direction. If you have wind
13 oscillations every 30 minutes or so, your BIGT ought
14 to be much lower than for 24 hours. And these low
15 frequency mesoscale motions could be setting a lower
16 limit for the horizontal wind variance component.

17 Now let's get into some research. NOAA knows
18 how to build a wall and the Trump Administration
19 should take notice. This was done for a roadside
20 barrier experiment, and I hope that the people
21 researching roadside barriers use this, because I
22 think they found that there is a significant blockage
23 of pollutants on the other side of that wall.

24 But when they did this experiment in Idaho
25 Falls, they -- to their surprise, they saw -- they

1 found that the -- the spreading of the plume was
2 higher than the Prairie Grass experiments suggested.
3 So they said, "Let's do some more tracer experiments,"
4 and so Project Sagebrush was born.

5 They -- they reset SF₆/SO₂ tracer release
6 campaigns, one in 2013 and one in 2016. So this is
7 basically Project Prairie Grass reborn. And they
8 had -- in the first phase, daytime releases, eight --
9 that is five releases. And in the second phase, they
10 did four daytime, four nighttime releases, many
11 involving low wind speeds.

12 I would certainly invite the -- any -- any
13 evaluations of low winds to include these new
14 databases. This is the view of the sampling. You can
15 see the -- this is, you know, Sagebrush, I guess. You
16 know, obviously, very easy to -- to get around in
17 these conditions, flat terrain, low level releases.

18 The monitoring network of the samplers were,
19 you can see, one hundred -- 100 meter circle, 200, 400
20 and 800 for the Phase 2. I think the Phase 1 went out
21 a little further. Obviously, they had to wait until
22 the wind direction was from the southwest, more or
23 less, to -- to get the measurements, but there was a
24 lot of instrumentation for this. Definitely worth
25 considering.

1 So now, what databases to consider. There --
2 there are several existing ones, including the one I
3 just mentioned. Believe it or not, Three Mile
4 Island -- remember that nuclear power plant disaster?
5 Well, before they built that thing, they actually
6 released SF₆ on the island, five trials, low level
7 releases.

8 Idaho Falls, we've been looking at Idaho Falls
9 and Oak Ridge for the previous ADJ_U* and LOW_WIND
10 evaluations and those are still available. So these
11 are, basically, low level release evaluation databases
12 that could be reconsidered for any updates to AERMOD.
13 There are several existing elevated release databases,
14 plus, as Rick mentioned, the -- some of the SO₂ Round
15 4 campaigns might add some -- in fact, there might be
16 a public presentation tomorrow about one that's come
17 forth.

18 Lovett, for example, has been used in the
19 AERMOD evaluation, one of the 17 databases available
20 on the SCRAM website. Tracy had 14 days of SF₆
21 releases, mostly at night. So some of these are full
22 year and some of these are very short term. Hogback
23 Ridge was one of the -- Hogback Ridge has not been
24 used a lot, but it's certainly worth considering.
25 Eleven days from a two-dimensional ridge.

1 Cinder Cone Butte, 18 days from a crane toward
2 a Gaussian-shaped hill in Idaho. Bull Run was an EPRI
3 experiment. EPRI had a -- some very ambitious field
4 studies in the early '80s. Bull Run and Kincaid
5 are -- are two such experiments with very extensive
6 data. Laurel Ridge is the one I mentioned that's
7 being considered by EPA Region 3 which had four
8 monitors, a full year of data.

9 So these are definitely databases to consider.
10 I don't know if we really need to go out and take new
11 data. We have a wealth of data already, plus the
12 Round 4 SO₂ monitoring.

13 So other considerations would be -- I would --
14 I would advocate for turbulence data processing if you
15 use turbulence data for these low winds and use the
16 full hour averaging, not four 15-minute periods that
17 capture the wind fluctuations. The current form of
18 the parameterization for sigma-Y and sigma-Z might be
19 underestimating the dispersion in the daytime.
20 Tomorrow, I will be up here again to talk about the
21 penetrating plume component, which Chris Owen had
22 mentioned as a -- a -- a new wannabe white paper. It
23 should -- it's a low wind issue I would consider for
24 convective conditions.

25 And, also, when you -- when you evaluate

1 tracer databases, you don't have that many hours, and
2 you might want to -- since you have all these bag
3 samplers, you know the wind direction that would get
4 the plume to the peak impact area. You should -- you
5 should actually modify the wind direction input to
6 AERMOD to make the plume get there, rather than
7 using -- since in low winds, the wind direction is
8 somewhat uncertain, you might miss -- you know, the
9 model might be seemingly underpredicting, but it
10 really isn't because you didn't give it the right --
11 right wind direction.

12 Conclusions, the ADJ_U* option has made a
13 difference for low wind speed stable conditions, as it
14 was designed to do. In convective conditions, I would
15 think the formulation of plume sigmas using observed
16 turbulence needs reconsideration because I think
17 AERMOD works better with the parameterized turbulence.
18 There's a problem with the penetrated plume, more on
19 that tomorrow.

20 The LOW_WIND updates could include the
21 adjustment of a meander fraction for a way to do that
22 and adding a minimum sigma-W as well as a sigma-V. We
23 have a lot of evaluation databases if we want to tap
24 those and take advantage of tracer and full-year
25 databases already in existence. And that's the end of

1 my slides.

2 DR. VENKATRAM: First I'd like to thank Chris
3 Owen and Clint Tillerson for inviting me to
4 participate in this panel. So flying over from
5 California was not exactly very comfortable to get up
6 at 3:30 my time, but, anyway, thank you very much,
7 because it gave me an opportunity to look back at what
8 we did in 2000. I think the first modeling conference
9 I attended was in 2000. Steve Perry just reminded me
10 that's when AERMOD was conceived and what we believed
11 that we could do it. We thought we could do it in one
12 year, but it took us seven years.

13 So, anyway, the LOW_WIND option was a very
14 important component of AERMOD mainly because we
15 realized that concentrations were being overpredicted
16 in the low wind conditions. So -- so in order to talk
17 about that, I need to first address the four questions
18 that Chris -- Chris sent to us.

19 One is to talk about experience with the ADJ_U*
20 option, and what I'm going to do is actually talk
21 about history, because at my age, history becomes very
22 important. And then I'm going to talk about the
23 LOW_WIND components very cursorily because I'm not
24 familiar with all of them. One is sigma-V and wind
25 speed. I think Bob and -- Bob and -- and Rick have

1 done a good job addressing them, so I'm going to spend
2 less time on it.

3 But I'm going to talk a lot more about the
4 meander option because I think that's an extremely
5 important component of the LOW_WIND option and without
6 it, the LOW_WIND option doesn't really work. And then
7 I'm going to talk about databases that are useful.

8 First of all, why did we get the ADJ_U* option?
9 It turns out that especially for surface releases, the
10 concentrations are inversely proportional to the
11 friction velocity, and I think all of you have used
12 AERMOD and you know what friction velocity means.
13 Some of my colleagues don't know about friction
14 velocity, so I'm going to say it's proportional to
15 wind speed, is a measure of sheer stress, and it turns
16 out that near the source, the concentrations are
17 inversely proportional to u^* . So under stable
18 conditions, if u^* -- if the wind speed goes to zero or
19 close to zero, friction velocity also goes to zero so
20 the concentrations are extremely high.

21 So we wanted to see whether did u^* , indeed,
22 approach low values when the wind speed went to zero
23 values. And so we looked at some data and I'm going
24 to talk about the data. And I suppose some of the
25 options are to have minimum values of wind speed and

1 sigma-V. I don't like them very much, but I suppose
2 we -- we are forced to do so because we really don't
3 have any alternatives.

4 And then, of course, the most important
5 option, I think, is to introduce meandering. And I'm
6 surprised that the area source algorithm still doesn't
7 have meandering in it. In fact, I think meandering
8 has not even been used in AERMOD with PRIME close to
9 the source. So -- but meandering is a very important
10 component.

11 So let me give you a little history of the
12 ADJ_U* option. So this ADJ_U* option was introduced
13 mainly during stable conditions. Stable conditions
14 mainly because u* went to very low values under stable
15 conditions and the concentrations turned out to be too
16 high, so we had to do something about it. So a
17 student of mine, Wendy Qian, worked on this problem.
18 The numerator -- I'm responsible for the numerator and
19 she is responsible for the more important denominator.

20 It turns out that -- that if you see the -- if
21 you look at the figure very carefully, the green line
22 is what we were predicting initially with the
23 numerator, which is that one-plus exponential. And so
24 if you look at it, you don't have to worry too much
25 about the formula itself, but what you need to worry

1 about or at least look at is the green line going to
2 zero. So ADJ_U* basically -- actually is the red line
3 to make sure that u* doesn't go to low values at wind
4 speed.

5 And what is this based on? It's actually
6 based on years and years of data from data collected
7 in Cardington, England, and that was available to us.
8 It was available only to academia, correct, for some
9 unknown reason? So Bob one day called me and said,
10 "Venky, send it to me."

11 "I will send it to you, Bob." Apparently, I
12 get special permission for some unknown reason.

13 Okay. So the point is ADJ_U* did what it was
14 supposed to do, which is increase u*, and made sure
15 that u* didn't go to zero as fast as the wind speed
16 went. So it solved the problem to some extent and I'm
17 gratified that it's very popular. But, unfortunately,
18 it doesn't solve the whole problem because we have had
19 a lot of experience under low wind speed conditions
20 and it turns out that we almost inevitably and always
21 overpredict concentrations.

22 So we introduced meandering. And what is
23 meandering? Meandering is -- it's a combination of
24 the plume -- and this is my -- my attempt at being an
25 artist, so forgive me. That's why I do basically -- I

1 still haven't yet learned from my students how to draw
2 things, and they do fantastic jobs making
3 presentations. I notice even if the content is not
4 very good, the presentations are always very, very
5 good with animations and all that sort of thing.

6 So, anyway, the plume -- the plume -- so this
7 is a combination of the plume and the -- the pancake.
8 And the pancake basically says if the wind speeds go
9 to low values, the plume spreads out all over the
10 place. So the concentration should be a combination
11 of the two.

12 So that would basically be interpolated
13 between the two. So if you look at the equation down
14 at the bottom, it basically says the horizontal is the
15 usual square root of two Pi sigma-Y in exponential
16 form. But this is basically the second line
17 concentration and the second term is essentially
18 the -- the plume going all over the place. So you're
19 saying sigma-Y is essentially two Pi R, which is the
20 circumference.

21 So this was an important addition to -- to the
22 low wind speed case. And so the main thing is how do
23 you weight them. And the weighting was -- if you --
24 if you look at the code -- the Fortran code, you find
25 the weighting actually. It's called FRAN for some

1 unknown reason, and it's -- it basically weights
2 $\sigma-V$ squared, the energy in horizontal motion, with
3 the effective wind speed.

4 And what you need to notice is the wind speed
5 consists of two components. Effective wind speed
6 consists of two components, the vector wind speed --
7 it's not the scalar wind speed. It's the vector wind
8 speed and $\sigma-V$. So -- so when the vector wind
9 speed goes to zero, you get square root of two $\sigma-V$
10 that Rick talked about and Bob talked about. And so
11 you need to -- the main problem with using this is
12 that you have to estimate it using u^* . So u^* is low.
13 $\sigma-V$ is also low, so that's a problem.

14 And the other thing is under unstable
15 conditions, ADJ_U^* really should not be used because
16 it was never designed for it. So I don't know whether
17 it's being used -- I don't think it's being used
18 currently.

19 Bob, it's not used under unstable conditions,
20 ADJ_U^* ?

21 MR. PAINE: When you turn it on, it's on for
22 everything.

23 DR. VENKATRAM: Oh, okay. Okay. Okay. Well,
24 it was designed for stable conditions. Okay?

25 So -- so the -- and the main thing is it's --

1 sigma-V is a combination of u^* and w^* . The moral of
2 the story is that if the u^* is low, it's not going to
3 smear the plume. So you need to either use measured
4 sigma-V, which is a problem. So we still haven't
5 solved the problem for meandering and how do you
6 weight it.

7 Recent experiments we did at UC-Riverside
8 looked at the effect of barriers on roadside
9 concentrations indicated that this FRAN factor needs
10 to be much, much larger. It doesn't solve that under
11 stable low wind conditions the -- or even unstable low
12 wind conditions, the concentrations tend to be
13 overestimated.

14 So I think the smearing effect is much larger
15 than we think it is, so we need to do some
16 experiments. So -- so -- so -- so one of the things
17 we did was is smearing enough? So the question is is
18 smearing enough in the horizontal direction.

19 We need to smear it in the vertical direction
20 also. We need to do something about vertical
21 dispersion also and that's something that we need to
22 look at. Here is something that we did long ago.
23 Again, my student, Wendy -- this is part of her Ph.D.
24 thesis. She was -- so we went ahead and created
25 concentrations using data from Idaho Falls, again with

1 NOAA. NOAA essentially did a whole bunch of fantastic
2 experiments over the years, starting in the 1970s and
3 they're -- they're still doing really good
4 experiments. It's unfortunate that most of the people
5 like me are close to retirement or have already
6 retired. So somebody has to carry the flag so -- to
7 do these tracer experiment.

8 It turns out that very few people know how to
9 do tracer experiments. I can basically think about
10 three people in this country can do tracer
11 experiments, and that's really unfortunate.

12 So, basically, this -- this basically showed
13 that if you use AERMOD with -- with meandering, you
14 still ended up overpredicting concentrations. So what
15 you see there is that -- hopefully I don't press the
16 wrong button here. What you see here is still
17 overpredicting concentrations, even with meandering.

18 So what we did was, okay, so let's basically
19 switch off meandering from the model and use a
20 numerical dispersion model without meandering and see
21 what happens. The difference is marginal. So
22 vertical dispersion -- so the moral of the story is
23 vertical dispersion is doing something to -- to the
24 concentration. So -- so we need to worry about not
25 just horizontal smearing but vertical smearing to some

1 extent.

2 So I'm not going to spend too much time with
3 this slide, but what it says is if you combine
4 meandering with better vertical dispersion -- again,
5 the -- the point here is meandering is not sufficient.
6 You need to do something with vertical dispersion. So
7 the numerical model actually handles vertical
8 dispersion much better.

9 So it turns out that if you handle both things
10 like vertical dispersion and maybe -- Bob, minimum
11 sigma-W might do the trick. Okay? So Bob is nodding
12 his head. Okay? Maybe. Maybe, but I prefer a
13 numerical model.

14 Okay. So if you put in meandering with better
15 vertical dispersion, it tends to do better. So this
16 needs to be accounted for.

17 So as far as some field studies, let me say a
18 few things about field studies. We did a field study
19 long, long ago, aeons ago -- and for me, lot of things
20 are aeons ago.

21 So we did -- we did some dispersion experiment
22 in our campus. We were looking at dispersion from
23 urban sources and this was -- this was a trailer of
24 the -- there really is a source on the top of it and
25 we wanted -- what we wanted to see is how the

1 concentration pattern behaved close to the trailer.
2 So we had a whole bunch of samplers -- continuous SF₆
3 samplers and just the point of -- this was done --
4 this entire experiment was done by a guy called David
5 Pankratz who retired -- who's retired about five years
6 ago.

7 And so we did this new experiment that Chris
8 is actually aware of that we actually collected tracer
9 data to evaluate R-Line and we had to bring it out
10 of -- bring him out of retirement in order to do this
11 experiment because he's one of, I told you, just three
12 people who can do these experiments in this country.
13 So -- which is rather unfortunate, and I had to go
14 all -- write a letter all the way to the chancellor to
15 get him back because there are strict rules against
16 employing retired employees.

17 So, anyway, the main point here is that we did
18 the experiment. You notice there's a lot of
19 meandering. If you look at the -- if you look at the
20 bottom here -- if you look at the bottom here, you see
21 that sigma theta data -- you can look at the bottom
22 here.

23 Sigma theta becomes very large. It becomes as
24 large as hundred degrees. So there's a lot of
25 meandering that goes on because you've got to --

1 because you've got to release it from the top. The
2 wind speeds become very low when there's meandering.

3 And so the question was how do we handle this.
4 So we'd rather have -- so -- so this is a fairly
5 extensive experiment. We published a paper and we
6 looked at it. And the main results I want to present
7 here is that if you just ran AERMOD PRIME, this is the
8 concentration as a function of wind meander with
9 respect to the mean wind speed.

10 So if you look at the concentrations, look --
11 observe it's pretty flat. It's smeared all over the
12 place, concentrations as far as 150 degrees away from
13 zero. So if you ran AERMOD PRIME -- I could be
14 mistaken here, but AERMOD PRIME doesn't have a
15 meandering component. But if you ran PRIME like so,
16 next to the source, you do not find the smearing at
17 all.

18 So that is a problem that needs to be solved.
19 If you want to run PRIME next to an urban source and
20 you want to include meandering to reduce
21 concentrations, you need to somehow introduce
22 meandering into PRIME. So if you just ran AERMOD and
23 you simply ran AERMOD with meandering, it gives much
24 better results. We switched off PRIME and we ran it.

25 So the main result here is that meandering

1 works in a lot of cases, but be careful when using
2 with downwash because the downwash algorithm with
3 PRIME doesn't use with meandering.

4 So -- so I'm going to go to the conclusions.
5 Estimating concentrations at low wind speeds requires
6 adjusting the micromet variables like u^* and $\sigma-V$.
7 We really don't know how to do it really well. We
8 have -- we have some adjustments that seem to work.

9 Horizontal meandering, I personally believe
10 that it -- it needs to be much, much larger. That is,
11 the FRAN factor needs to be much larger. We need to
12 make it -- we need to smear much rapid -- much more
13 rapidly. That's the basic concept here. Because it
14 doesn't turn out to be -- I show you some results. It
15 doesn't -- data indicate that the plume doesn't --
16 doesn't have a Gaussian shape most of the time.

17 So I think we need to do some sort of
18 meandering. In fact, the Three Mile Island experiment
19 that Bob was talking about, it showed very clearly
20 that concentrations are well predicted only when you
21 did -- you smeared it over the entire angle. So if
22 you did use a Gaussian plume and you smeared it over
23 the entire sector, you've actually found much better
24 performance.

25 Then about vertical meandering -- of course, I

1 just put that down there and put a question mark
2 because I didn't know what the hell I was talking
3 about.

4 So -- so vertical meandering is basically --
5 we need to do something about vertical dispersion.
6 And there are some databases that people have
7 collected in -- in Italy, a whole bunch of experiments
8 that talk about meandering. They've written a lot of
9 papers on meandering.

10 What you see here is that the horizontal --
11 horizontal turbulence fluctuations can be ten times
12 greater than u^* . It's not 2.5 or 1.9. It could be
13 ten times u^* . So the low horizontal meandering and
14 the low wind speeds I know -- I know for a fact that
15 we really haven't deciphered that figure, but it
16 doesn't matter.

17 Okay. So, in fact, I found it very difficult
18 understanding the figure. Now, if you notice, a lot
19 of papers have a lot of these figures, beautiful color
20 pictures, usually 20 of them and they don't mean a
21 thing. But the color is supposed to impress you.
22 So -- so that's a new thing that -- this guy didn't
23 have color, so I shouldn't be saying that.

24 So -- so the main thing is potential
25 databases. Bob already talked about Project

1 Sagebrush. I think that's an extremely useful
2 database. They collected excellent database, but they
3 don't have any funding to -- to analyze the data and
4 that's important. And most of the people involved in
5 the experiment have retired, so that's a major
6 problem. But this -- but this database is available.
7 It's -- anyone can get it.

8 So Bob talked about there's a hundred --
9 talked about this -- excellent databases. This group
10 has collected extremely good tracer databases with lot
11 of instrumentation with horizontal wind speeds and
12 everything and wind velocities, vertical velocities
13 and everything else that you need.

14 And the main thing about it, if the plume is
15 not Gaussian -- one of the things I want to point out,
16 notice how flat it is. The concentration is extremely
17 flat and then it falls off very rapidly. So this is
18 what I call smearing in the -- in the horizontal. So
19 it's not like a horizontal in a graph of a Gaussian
20 plume. So -- so this needs to be accounted for in
21 doing low wind.

22 And another result that they got was that
23 sigma-Y that they were getting from the data was much,
24 much larger. The horizontal spreading was much, much
25 larger than what AERMOD was predicting. So that needs

1 to be accounted for.

2 So, again, that's it. Thank you very much.

3 DR. OWEN: All right. We have 15 minutes and
4 we're supposed to have a break. And so first I want
5 to say thank you again to the panelists. Very
6 insightful information. I do want to say that in the
7 last couple of months I've gotten the Project
8 Sagebrush data. Turns out Dave Heist was hoarding it
9 over at the -- the wind tunnel facility. But we have
10 that now and we hope to do some work with that in the
11 coming year.

12 But I wanted to first give the panelists the
13 opportunity to see if they have any questions --
14 clarifying questions for each other on any of the
15 topics that were brought up.

16 MR. PAINE: I don't think so.

17 DR. OWEN: Okay. And so we did want to give
18 the audience the opportunity, again, if there are
19 clarifying questions for the comments that were
20 provided by the panelists. We're not opening up the
21 floor to discuss AERMOD in general. But if something
22 the panelists said you'd like them to clarify, we'll
23 give you the opportunity to do so.

24 MR. KIM: Rick, I have a question for you
25 about how it is that the data points came to the

1 database. You mentioned that it may be used for the
2 one-hour modeling. And did you guys have any -- at
3 one point, there are 75 substitution cases where you
4 have to substitute the SO₂, I guess, data with much
5 more conservative data when you have a missing hours.

6 DR. OWEN: Okay. Just to put in the context
7 of clarifying your statements, Rick.

8 MR. GILLAM: Okay. Yeah.

9 DR. OWEN: Any further reaction or otherwise.

10 MR. GILLAM: All right. So I -- I think
11 that's a good question, Beyond. In terms of a
12 definite answer on it, I don't think I can give you a
13 definite answer at this point. But I would say that
14 that's definitely something that should be brought up
15 if you're looking at an alternative model
16 demonstration and you're relying on the emissions data
17 that would be reported in the -- yeah. My initial
18 thought is you might want to exclude that data, but
19 that's just a -- just an initial thought.

20 MR. GARRISON: My question was looks like
21 the -- the studies have been done in, you know,
22 certain ideal conditions with, like, low roughness and
23 large fetch and stuff like that.

24 What -- do y'all have any insight as to what
25 happens with the meander, the pancake versus the

1 plume, during maybe higher roughness conditions?

2 DR. VENKATRAM: I can respond to that. If you
3 look at one of the first plume studies we conducted --
4 can you hear me?

5 The first plume studies we conducted was in an
6 urban setting with a lot of roughness. If you notice,
7 it was a -- it was a trailer with -- with buildings in
8 the background. So it was a fairly -- fairly
9 representative of an urban condition.

10 And what we found there was meandering
11 actually played a much bigger role than we had
12 anticipated because the wind was going all over the
13 place. So the point I'm trying to make is that quite
14 often, you can get away with predicting concentrations
15 assuming that it's all over the place, that it is
16 essentially -- the horizontal spread is two Pi times
17 the distance.

18 And then we did an experiment -- we had just
19 finished an experiment next to the university and
20 looking at collecting data for -- to evaluate R-Line.
21 And Chris is involved in supervising the project. We
22 found that, again, on the low wind speed -- low wind
23 speed conditions -- and this is under urban
24 conditions. Meandering was extremely important. We
25 overpredicted concentrations by a factor of two with

1 the current treatment of meandering; that is, using
2 measured sigma-V. We had actually measurements of
3 horizontal turbulence.

4 So when we put in the horizontal turbulence
5 into AERMOD, or a version of AERMOD that included
6 R-Line, it turned out that the concentrations were
7 still being overpredicted. So we essentially
8 increased the fraction to close to one and then the
9 concentrations were fine.

10 So -- so the basic concept is, yeah, there's a
11 lot more meandering in urban areas.

12 MR. PAINE: I wanted to add something to that.
13 I noticed at the -- this year's EPA modeling workshop,
14 a bullet on a Monin-Obukhov length to account for the
15 source structures because in AERMIC, we were
16 struggling with what do you do when you have a -- an
17 anemometer in a low roughness area, which has to be
18 the case because of siting requirements, but your
19 source has buildings around it. How do you account
20 for that additional mechanical turbulence? Right now,
21 there's no easy way to do that, but I think there's an
22 issue of maybe having a way to incorporate a minimum
23 Monin-Obukhov length to account for surface roughness
24 and -- and those types of things that we never really
25 have solved.

1 DR. OWEN: Thanks, Bob, and Venky. Any other
2 clarifying questions?

3 MR. BRIDGERS: So I think we should give the
4 panel -- I don't want to take your job from you,
5 Chris -- a round of applause.

6 And, Bob, I was going to give you an
7 opportunity if you want to make a quick announcement.

8 MR. PAINE: At previous modeling workshops, we
9 had a -- a colleague who's no longer able to be
10 present with us, Joe Scire, who was the -- formulated
11 the CALPUFF Model. He extended his efforts to do
12 marathons too far on October 12th, 2014, and collapsed
13 a half a mile from the finish line, was not attended
14 to for a few minutes and, therefore, suffered brain
15 damage.

16 He is basically at home, but does appreciate
17 and can acknowledge notes from colleagues and -- and
18 appreciates those. So we have outside this room on a
19 table, you know, blank note cards if you want to write
20 a note inside, I will then take those home and -- and
21 ship them to his house. So those are available
22 outside here.

23 MR. BRIDGERS: And with that, we will take our
24 first morning break. And let's just go ahead and make
25 it a long break. We'll still have plenty of time for

1 lunch. So the time to restart will be 10:45 and this
2 will give you a few minutes to do some networking if
3 you'd like, but I'll suspend the public hearing until
4 10:45

5 [BREAK - 10:21 A.M. TO 10:45 A.M.]

6 MR. BRIDGERS: So I will reopen the public
7 hearing after the break here. We're still waiting for
8 one of our panelists. And so without further ado,
9 it's my pleasure to introduce Clint Tillerson, who's
10 going to moderate the Overwater Modeling Panel.

11 MR. TILLERSON: Thanks, George. Okay. Just a
12 real quick background slide here because this is
13 somewhat new work that we're encroaching on, something
14 that we know needs to be done, have known that it
15 needs to be done. Now we have some mechanisms in
16 place now to -- to really dive into this.

17 So over -- overwater -- overwater modeling
18 doesn't go away. It seems to be coming more
19 prominent. People are looking at whether they can use
20 AERMOD. They still have to use OCD. That seems to be
21 coming up more and more these days and so we know that
22 there's some area -- this is an area that we need to
23 address.

24 So, currently, the Offshore Coastal Dispersion
25 Model, OCD, is still the preferred model for offshore

1 coastal modeling applications. But OCD, you know, has
2 been around for a very, very long time and it relies
3 on older dispersion science. It does not contain the
4 post-processing routines for the more recent one-hour
5 NAAQS or screening options for NO conversion to NO₂.

6 And so we've been considering replacing OCD
7 with AERMOD. There are a few things that have to
8 happen that will take some time in order for that
9 replacement to take place. In particular, we need to
10 be able to handle marine-based meteorology. We need
11 to be able to handle coastal shoreline fumigation.
12 And we also need to be able to handle offshore
13 platform downwash.

14 These are all things that are a part of OCD
15 that have not yet been incorporated into AERMOD, and
16 so they're all key issues, key features that will need
17 to be integrated into AERMOD in a way that will give
18 us that -- that range to be able to do offshore
19 modeling, nearshore modeling, dealing with coastal
20 fumigation and -- and a mix of marine-based and
21 terrain-based meteorology.

22 So we have a panel of four here today, and so
23 I welcome you. I guess I need to stay close to here.
24 I thank you for your participation today. And so I'm
25 going to go through and introduce them and then

1 they'll each, just like the last panel -- oh, thank
2 you. Is it on? There we go. Is that on? Got it?

3 MR. BRIDGERS: Should be. Try again. It's
4 on.

5 MR. TILLERSON: Okay. Okay. Thanks.

6 They'll -- they'll each come up and have 10 or
7 12 minutes to go through the charge questions, and
8 we'll put the charge questions up.

9 So we have Dr. Bart Brashers. He did a
10 post-doc with EPA group developing CMAQ from 1998 to
11 2001, working on dry deposition. He returned to
12 Seattle and has been with the same group for 18 years,
13 though there have been four different names on the
14 door -- most recently Environ and now Ramboll. He
15 runs WRF, supports MMIF and has done model
16 intercomparisons both onshore and offshore.

17 We have Mrs. Holli Ensz, a physical scientist
18 with emphasis on air quality with the Bureau of Ocean
19 Energy Management, Headquarters Region, in Northern
20 Virginia. Since the mission of BOEM is to manage
21 development of U.S. Outer Continental Shelf energy and
22 mineral resources in an environmentally and
23 economically responsible way, Holli conducts air
24 studies regarding impacts assessments of OCS oil and
25 gas activities on air quality, including emissions

1 inventory and modeling studies. She is also assisting
2 with the drafting of BOEM's Air Rule. Before working
3 in Headquarters, Holli worked in BOEM's Gulf of Mexico
4 Region in New Orleans for 14 years in a similar
5 position.

6 We have Dr. Jay McAlpine, a boundary leader --
7 pardon me, boundary layer meteorologist and Regional
8 Modeling Contact at EPA Region 10 in Seattle; member
9 of EPA's overwater dispersion modeling group. He
10 holds a Ph.D. in atmospheric science from the
11 University of Nevada, Reno, Desert Research Institute
12 and a B.S. in atmospheric sciences from the University
13 of Washington. Jay has 18 years of experience in air
14 quality modeling, working in air quality consulting
15 and modeling research prior to joining the EPA.

16 And again on this panel, we have Dr. Akula
17 Venkatram, professor of mechanical engineering at
18 University of California, Riverside, California. His
19 research is focused on the development and application
20 of models for the transport and dispersion of air
21 pollutants over urban and regional scales.

22 Previously, he held positions as the Vice President of
23 Air Sciences at ENCR [sic] Consulting and Engineering
24 and the Head of Model Development at the Ontario
25 Ministry of Environment. Dr. Venkatram was a member

1 of the team that developed AERMOD and was a principal
2 contributor to the R-Line model. Dr. Venkatram
3 received a B.S. degree in mechanical engineering from
4 the Indian Institute of Technology and a Ph.D. degree
5 in mechanical engineering from Purdue University.

6 So we have -- we have three charge questions.
7 Again, we will not -- I will not read these, but they
8 are printed in your -- in your handout. And they,
9 essentially, focus on the replacement of OCD with
10 AERMOD and what are those most important features that
11 EPA should be concentrating on focusing on so that we
12 can better apply the models to these overwater and
13 near coastal situations.

14 So with that, we're going to have Jay come up
15 first and present.

16 MR. McALPINE: Hello, and thank you. So I'd
17 like to start by just first mentioning -- as the
18 representative of EPA, just to put this into context
19 where we are at right now with the overwater
20 developments. And I want to say one of the first big
21 developments was the development of the AERCOARE
22 model, and I will be talking about that in a little
23 bit -- few minutes here.

24 Also, we, in cooperation with BOEM and Federal
25 Land Manager Agencies -- with the other agencies, we

1 developed the inter-agency workgroup on overwater air
2 quality modeling which I was involved with. That just
3 began end of last year, so there's been some
4 preliminary work with that group.

5 Also, we have the internal overwater group,
6 which focuses on modeling but also other elements of
7 overwater air permitting and some of the issues. We
8 have a monthly call and that involves many of the
9 regional modelers and also staff from OAQPS.

10 One of the purposes of the internal group is
11 to help inform and facilitate -- oh, sorry about that.
12 We don't need that up right now. Facilitate the
13 development of the model and the integration of
14 overwater features into AERMOD eventually.

15 So saying that, so one of the questions that
16 was originally up in the air was should we integrate
17 an overwater modeling system into AERMOD or perhaps
18 provide a modern update to OCD. And as is -- is
19 obvious, the -- the goal at this time is to attempt to
20 integrate everything into AERMOD as the main
21 regulatory near source -- near field model under EPA.

22 And there's many -- it's very obvious why we
23 want to do that. It prevents the doubling of the
24 workload by having to update both models at the same
25 time and also the new AERMOD development process,

1 again using ALPHA and BETA models, having everything
2 in one package is ideal.

3 With that being said, I -- and there's a world
4 of difficulty that arises when we start talking about
5 having an offshore system in AERMOD because there are
6 some big fundamental differences between OCD and
7 AERMOD, and I'll go into some of those and -- and why
8 integrating everything that OCD can do into AERMOD
9 will require a fairly substantial update to AERMOD and
10 go somewhat beyond the original structure of the
11 models.

12 So I see three big pieces of work that need to
13 be done for this update, or have been done I should
14 say. First, Part A, the overwater meteorology. This
15 is the -- the -- in my opinion, was the biggest piece.
16 And I have to say that we -- we are there already,
17 more or less.

18 The development of AERCOARE was spearheaded by
19 my predecessor, Herman Wong at Region 10, in
20 cooperation with BOEM and Dr. Brashers' group in
21 Seattle. And it incorporates pretty much the state of
22 the art of overwater meteorological parameterization
23 at this time. And the -- the COARE models itself were
24 developed using not only the COARE experiment
25 measurement data but a host of other overwater

1 meteorological datasets. So my understanding and what
2 I've seen in the literature is that the model is -- is
3 very robust.

4 We also -- Region 10 went through an
5 alternative model approval process for an air permit
6 in Alaska a few years ago where AERCOARE was approved
7 for that project and used. So -- so I can say at this
8 point AERCOARE is essentially a BETA-equivalent model.
9 And thinking of the ALPHA/BETA scheme, it's not
10 officially in AERMOD as a BETA model, per se, but it
11 has the potential to be considered a BETA-equivalent
12 model at this time. So saying that, we're pretty much
13 there at the point where AERCOARE could be accepted as
14 an overwater meteorological model at this point.

15 That being said, there's features in AERCOARE
16 that -- well, AERCOARE on its own cannot be -- it
17 cannot do everything that we need for overwater
18 modeling. It doesn't bring all the features of OCD
19 into AERMOD, those core features that are missing.

20 So using AERCOARE right now, we could use
21 AERCOARE directly as a regulatory model, in my
22 professional opinion, now, but only for overwater
23 receptors. When it comes to the plume moving from the
24 overwater boundary layer onto shore, air -- the
25 AERCOARE/AERMOD combination can't account for the

1 transition of the boundary layer along the shoreline
2 in -- in what's referred to as the -- the thermal
3 internal boundary layer. AERMOD doesn't have the
4 capabilities of accounting for that yet.

5 Another big piece which a lot of development
6 has recently been focused on, I understand, through
7 BOEM is the platform downwash piece. The integration
8 of that into AERMOD involves some development of BPIP
9 and then the PRIME algorithms. And the earlier wind
10 tunnel work that was used in OCD, that alone could be
11 moved forward, but I understand there is a lot of
12 new -- some wind tunnel work and I believe measurement
13 studies that are being conducted by BOEM which will be
14 really -- really great. I'm sure Holli's going to be
15 discussing that in length here.

16 So my understanding is that we're not too far
17 away from having those pieces put into the AERMOD
18 modeling system. Most of the work for AERCOARE when
19 the coding is finished on the technical side, the
20 platform downwash piece is going to take a little bit
21 more work because of integrating that into BPIP and
22 PRIME.

23 So the last of the three big pieces of work
24 here -- and I -- I mentioned it a little earlier --
25 is -- will involve a pretty big step in -- in -- in

1 alteration to how AERMOD works is the treatment of the
2 thermal internal boundary layer. So the transition of
3 the plume when it goes from the marine boundary layer
4 to an overland boundary layer.

5 So right now, AERMOD -- the AERMOD system just
6 is fed with one set of meteorology. If we're moving
7 to an overwater case where we have inland receptors,
8 we're going to need both the overwater meteorology and
9 then the on-land meteorology integrated into there.
10 Technically, I could see just instead of putting
11 AERCOARE into AERMOD, AERCOARE could still stand on
12 its own and we'd model two sets of meteorology and
13 then the handling of that would be done in AERMOD,
14 more or less, as -- that's a suggestion.

15 But once that information is in AERMOD, the --
16 accounting for the plume interaction with the boundary
17 layer is going to be tricky, mostly because that's
18 highly dependent on the distance of the receptor from
19 the shoreline. And to do that, each receptor will
20 have to be assigned a distance from the shoreline
21 under each wind direction that's being modeled. And
22 so that will require some development. First of all,
23 you need some preprocessors to calculate those
24 distances possibly, and I'll -- you know, similar to
25 AERMAP. And I could key the term AERSHORE or

1 something like that. I don't -- I upset George by
2 saying that.

3 But a lot of the fundamental algorithms
4 involving fumigation and then interaction with the --
5 I'll say TIBL, they have been developed and I believe
6 we need to -- the EPA needs to spend time reviewing
7 those algorithms and seeing if they need to be brought
8 up to date, if there's some refinement of those models
9 using newer studies. That will be a focus of our work
10 also. So that's generally my response to the -- the
11 first question there.

12 I'll read -- the second question was, "In your
13 opinion, what is the most immediate need in terms of
14 coastal modeling issues?" And I also want to expand
15 slightly into overwater permitting issues that relate
16 to the modeling.

17 So I think one of the most difficult pieces of
18 overwater modeling is finding a good dataset of
19 temperature difference. Buoy data -- your temperature
20 difference involves measuring temperature in the air
21 and then usually a monitor -- you know, a meter or --
22 within a meter of the sea surface itself.

23 Well, the algorithms that are being used in
24 AERCOARE and OCD are very sensitive to that
25 temperature difference, so if there's any error at

1 all -- if there's even the possibility of the flipping
2 of a sign of -- of Monin-Obukhov, so erroneously
3 forecasting -- or erroneously modeling a stable
4 condition instead of unstable, or vice versa.

5 Well, saying that -- where do I want to go
6 with that? So buoy data itself is often lacking, and
7 when we do have it, the temperature difference is not
8 usually a -- a key -- it's not really measured that
9 well. But, you know, the -- I'll say the temperature
10 probes aren't essentially linked for calculating
11 temperature difference. So it's a big area of error
12 that can result in poor performance of the model. I
13 see that as a -- as an issue.

14 A possible alternative is using -- well, first
15 of all, prognostic modeling somewhat solves that
16 because it will be using the sea surface temperature
17 data; hopefully a high-resolution dataset that's
18 provided in the satellite data. So -- and I see most
19 overwater modeling will likely, I assume, be using
20 prognostic data. I'm sure Dr. Brashers will be
21 touching on that possibly.

22 One option I can see is maybe using those sea
23 surface temperature datasets as a parameterization of
24 inputs so that we don't have to rely on buoy data
25 where the temperature's taken a meter below the

1 surface, because it's really that difference at the --
2 at the very surface, the skin of the water that --
3 that decides the flux of -- of moisture and heat to
4 the atmosphere.

5 And I did mention air permitting. Some issues
6 that my colleagues in Region 1 and 6 are -- are
7 work -- dealing with, some of the challenges in
8 offshore permitting anyway is, (a), concentration
9 data, getting -- assigning the background
10 concentration data that's representative. So -- and
11 then also dealing with a PSD increment. And I just
12 want to quickly wrap up with my -- talking about
13 the -- the last question, do you envision priorities
14 related to your division priorities.

15 And it's -- instead of a forecast, I want to
16 say that it's more of a now-cast of -- of what we
17 need. I guess we're seeing a lot of offshore wind
18 development, especially in Region 1, but I could see
19 that expanding to other regions. And there's a lot of
20 offshore modeling needs for permitting of those
21 projects and -- and also offshore oil and gas
22 development. I see growth in that. We're already
23 some work in the Cook Inlet in Alaska which will
24 require updates in modeling. So thank you.

25 MS. ENSZ: Hi. I'm Holli Ensz. I'm with the

1 Bureau of Ocean Energy Management. We're an agency
2 under the Department of Interior. And before I get
3 into the charge questions, I wanted to talk a little
4 bit about our agency. A lot of y'all probably don't
5 know a lot about our agency.

6 So our mission, as was stated in my biography,
7 is to manage development of the U.S. Outer Continental
8 Shelf energy and mineral resources in an
9 environmentally and economically responsible way. The
10 Clean Air Act actually gave BOEM air quality
11 jurisdiction on the OCS, which is federal waters, in
12 the Gulf of Mexico region west of 87.5 degrees
13 longitude. So if you take the Florida panhandle and
14 the state line with Alabama and go straight south,
15 west of that in federal waters is BOEM air quality
16 jurisdiction. East of that is EPA air quality
17 jurisdiction. And then, of course, the states have
18 the state waters.

19 The Consolidated Appropriations Act of 2012
20 gave BOEM air quality jurisdiction on the OCS on the
21 North Slope Borough of Alaska, which is the Chukchi
22 and the Beaufort Seas.

23 So BOEM has this air quality jurisdiction and
24 we also have the statutory responsibility that's
25 listed in the Outer Continental Shelves [sic] Lands

1 Act, Section 5(a)(8), which states that we should
2 prescribe regulations for compliance with the NAAQS to
3 the extent that activities authorized under OSLA
4 significantly affect the air quality of any state. So
5 any activity that we're going to authorize, we have to
6 make sure that that activity will not impact the air
7 quality of any state.

8 We also do impact analysis to support NEPA for
9 our five-year program for environmental impact
10 statements, any kind of environmental assessments we
11 need to do. So we do these impacts assessments a lot.

12 Our regulations for air are codified in 30 CFR
13 Part 550. Our regs state that the operators -- when
14 they have to conduct modeling, that they need to use
15 EPA's Appendix W. Therefore, our agency, even though
16 we have this air quality jurisdiction, we need to work
17 closely with EPA because if we do need to conduct
18 modeling, we have to use Appendix W.

19 And as I mentioned, EPA has air quality
20 jurisdiction in the eastern Gulf of Mexico, and they
21 also have jurisdiction for air in the Pacific,
22 Atlantic and other areas in Alaska. So, again, the
23 coordination between EPA and BOEM is -- is -- is
24 important.

25 So why is there a need for offshore dispersion

1 modeling for our agency? It's pretty obvious, but we
2 have several programs. Jay mentioned a couple, but
3 I'm going to start with our oil and gas program. BOEM
4 reviews air quality plans submitted by the operators
5 prior to exploration, installation and/or development.
6 This is the oil and gas program.

7 We -- in the plan that is submitted to us by
8 the operator, we have an air quality section. And in
9 that air quality section, we review the estimated
10 potential emissions. The plan's estimated potential
11 emissions are calculated using EPA emission factors
12 and calculations. And if it's -- if those potential
13 emissions are over a threshold that BOEM has decided
14 that could impact the air quality of any state, then
15 we require the operator to conduct further air quality
16 assessment, and that usually includes modeling.

17 So I wanted to mention, though, that our
18 process is a little bit different than EPA's. We
19 don't actually issue an air permit. What we do is we
20 either approve the plan or deny the plan. So we can
21 approve the plan; we can improve it with mitigations.

22 If we think that data will possibly impact the
23 air quality of any state, we can mitigate their fuel
24 usage. We can require controls. So we have options,
25 but we either approve or deny a plan. We do not issue

1 a permit.

2 In the Gulf of Mexico region, BOEM reviews
3 approximately 300 oil and gas plans a year. Those
4 aren't initial plans. Those are revised and
5 supplemental as well as initial. And seven percent,
6 approximately, of those plans require modeling and 15
7 percent require Fish and Wildlife Service review. We
8 have Breton, which is a Class I area right off the
9 coast of Louisiana, so we do coordinate with Fish and
10 Wildlife Service when needed. So that's the Gulf of
11 Mexico program.

12 Alaska, we just have Liberty project. It also
13 needed modeling. And then in the Pacific, we have
14 approximately 20 platforms that will need to be
15 decommissioned in the upcoming years. Lastly, BOEM's
16 five-year program is currently on hold, but the
17 initial proposal opened up the whole Atlantic region,
18 along with a lot of other regions, for oil and gas
19 development. It's -- like I said, it's on hold, but
20 if that opens up, then we could potentially have oil
21 and gas development on the Atlantic, which, again, is
22 EPA's jurisdiction, but we need to have this model
23 ready to go. So that's our oil and gas program.

24 We also have a renewable program, which Jay
25 kind of mentioned a little bit about. It's the wind

1 program. We actually have leases from -- extending
2 all the way from Massachusetts to North Carolina for
3 wind development. And -- and what would happen is the
4 wind company would come to BOEM for the lease for
5 the -- for the actual wind lease, but since it's EPA's
6 jurisdiction, they would go to EPA for the air quality
7 permit under that scenario.

8 We also have this marine minerals program that
9 not a lot of people know about. It's our sand and
10 gravel program. And we have completed over 45 coastal
11 restoration projects and we're still expanding.

12 So, basically, if a hurricane wipes out a
13 beach, the city, state, locals want to replenish that
14 beach, a lot of times they will use federal sands to
15 replenish the beach. And like I said, we've completed
16 45 of those projects to date. So we think there is a
17 need for overwater modeling based on what I just said,
18 not only for BOEM but for EPA.

19 So the charge questions, what are -- what is
20 my thoughts or BOEM's thoughts for replacing OCD with
21 AERMOD. OCD is very outdated and has not been
22 updated, whereas AERMOD has been continuously updated.
23 AERMOD can read modern meteorological files. AERMOD,
24 the outputs are directly comparable to the NAAQS.

25 So, therefore, BOEM, because of our need to

1 assist our mission and our regulatory mandate and
2 because AERMOD has been updated continuously, we
3 strongly support replacing OCD with AERMOD.

4 Jay also mentioned that BOEM is working with
5 EPA on an overwater workgroup, IWAQM overwater
6 workgroup. And through that workgroup, we have --
7 hopefully soon will be entering into an interagency
8 agreement with EPA to improve AERMOD for overwater
9 modeling.

10 This inter -- interagency agreement,
11 hopefully, will look at the OCD platform downwash
12 algorithms and try to incorporate those into AERMOD,
13 if it's compatible, and test those and evaluate those.
14 We also hope through this interagency agreement that
15 the coastal fumigation algorithms get incorporated,
16 tested and evaluated into AERMOD as well.

17 Another project that BOEM was doing which --
18 Jay stole all my thunder -- that he also mentioned is
19 a wind tunnel study. We -- and this will probably be
20 for fiscal year '20, so starting soon. Since OCD was
21 developed, the type of facility offshore has changed
22 significantly. We no longer have just these -- just
23 the shallow water platforms, jack-up type rigs. You
24 have these MODUs, which are, like, mobile drilling
25 units. You have FPSOs, which are huge floating

1 production storage and offloading boats. Basically,
2 they do it all on a boat. If a hurricane comes, they
3 can drop the well down and they can leave the whole
4 site and then come back and reconnect to it.

5 You have deepwater spars. You have tons of
6 different types of facilities now that we didn't have
7 before. And so we hope through this wind tunnel study
8 that we can look at all the different types of
9 downwash scenarios and make sure in the future that
10 AERMOD incorporates all the facility types that we
11 need.

12 So for question two, our immediate need, we
13 need it all. We want it all now. So, obviously, like
14 I said, we support meeting all the necessary needs to
15 replace OCD with AERMOD and we hope to get a good
16 start on this through the EPA interagency agreement
17 and this wind tunnel study.

18 We have generated -- we have a study that's
19 just recently completed which is a -- a major study.
20 It was the air quality modeling in the Gulf of Mexico
21 region study. And we generated a five-year
22 meteorological dataset. ERG, Ramboll and Alpine
23 Geophysics were our contractors. And it's a 2010
24 through 2014 CALPUFF and AERMOD WRF/MMIF dataset and
25 it's for the whole Gulf of Mexico region. It's

1 available on the GCOOS website, G-C-O-O-S, the Texas
2 A&M University website.

3 But development -- we definitely want to
4 support future development of the meteorological,
5 AERCOARE, anything that we need to do our modeling and
6 get the correct impacts assessment.

7 Our other need, which wasn't mentioned in the
8 list, is up to this point, you've been talking about
9 modeling -- dispersion modeling less than 50
10 kilometers. We also need modeling greater than 50
11 kilometers as we go further and further into
12 deepwater. Currently, we use CALPUFF, but it's
13 delisted. So, you know, based on what Fish and
14 Wildlife Service and some of the other federal land
15 managers do, BOEM will have to consider how we're
16 going to go forward. But we are bound to use Appendix
17 W. So we'll have to work with EPA on not only these
18 less than 50 kilometer but greater than 50 kilometer
19 scenarios.

20 The other need is, as I mentioned earlier, the
21 deepwater technology has changed a lot and they have
22 subsea wells now. So you don't have tons of point
23 sources. You have these subsea wells and you have a
24 lot of mobile sources, so support vessels coming in
25 and out. So any modeling that we do for overwater

1 needs to include and incorporate these support vessels
2 coming in and out to help with that development.

3 The third question, do you think the
4 priorities will shift in the next five years, no.
5 With all of our -- all our multiple programs -- the
6 oil and gas program, the wind, the renewable, the sand
7 and gravel -- we think that there's a definitely a
8 need for offshore models for not only BOEM but EPA.

9 There's approximately 1842 platforms in the
10 Gulf of Mexico currently and they keep adding more
11 daily. So those are going to be out there. We're
12 going to have to eventually decommission those, but
13 they're going to be active for many years to come.

14 I did want to say something that you had
15 mentioned about -- with the marine boundary layer.
16 BOEM has proposed a tracer study that -- they haven't
17 done tracer study in the Gulf in a long, long time.
18 So we're -- we're -- we're hoping to do that in fiscal
19 year '21. But this year, we're going to try to focus
20 on the -- the interagency agreement and the wind
21 tunnel study and then in 2020 maybe do a tracer study
22 in the Gulf of Mexico. That's it.

23 DR. BRASHERS: I'm sorry. I forgot my
24 notebook. I'll have to read off my phone. My name is
25 Bart Brashers. It's pretty clear to me what I'm

1 supposed to be representing here, which would be -- so
2 we have EPA, BOEM and academia, so I'm representing
3 applicants.

4 But I'm -- so much of the work that I've done
5 has been switching hats back and forth. Sometimes I
6 work for applicants and sometimes I work for BOEM.
7 Most notably, we've done some -- I've done some pretty
8 big WRF modeling jobs and some overwater tracer study
9 evaluations comparing OCD to AERMOD and CALPUFF. And
10 those were based on the 2005 or 2006 work by the -- by
11 Joe Scire and his team that started evaluating
12 CALPUFF. So we just carried CALPUFF along with that.

13 And I guess the -- the big open secret in the
14 room is that CALPUFF performed just about as well as
15 OCD and AERMOD for all those tracer studies. Makes
16 people a little bit nervous when I say that.

17 So switching hats back to the applicant side,
18 because most of the work that I have done has been for
19 deepwater or deepwater platforms in the western Gulf
20 of Mexico and also for PSD projects in the eastern
21 Gulf of Mexico, so on the other side of that bright
22 line there at 89 -- 87 and a half degrees West.

23 Most of the -- those sources have been so far
24 from shore that I don't see platform downwash as being
25 a really huge issue. I suppose that if you really had

1 a situation where you had to, say, repermit a platform
2 that was close to shore or if there was a new platform
3 or for perhaps the dredging things -- I did work on a
4 dredging project once and we just used AERMOD with --
5 with an onshore meteorological dataset because it was
6 so close to the shore that we figured that was good
7 enough.

8 So for downwash, I don't see it as being all
9 that huge of an issue. If you really come up with a
10 situation where you need platform downwash, you could,
11 I suppose, do a Section 3.2.2 demonstration and say --
12 even after OCD is delisted, you could still do an
13 equivalency demonstration and say, "Oh, we could use
14 OCD." That is, if you really enjoy running OCD. Most
15 of us who have dealt with it don't.

16 Or I suppose you could try to do a Section
17 3.2.2 equivalence for CALPUFF which does have the
18 platform downwash in there. So I think for certain
19 isolated situations, CALPUFF would be an appropriate
20 model to use, even in the near field for -- to be able
21 to get the -- the platform downwash correct.

22 I think, similarly, the coastal fumigation
23 part -- my career has probably not been as -- not --
24 not such a collection of really weird projects as Bob
25 Paine's perhaps. I have a fair collection of weird

1 projects, but not quite as many as his. And -- so
2 for -- in my experience, coastal fumigation has not
3 really come up and been a very important issue in
4 the -- the permitting or plans that we've done,
5 especially offshore of the Gulf of Mexico.

6 Almost all the new development is so far away
7 that the plumes have essentially filled the boundary
8 layer and they're well mixed within the boundary layer
9 anyway. The -- the platforms are not quite as tall
10 and, thus, they're -- the emissions are not as hot as,
11 say, a typical power plant. So it's not, you know,
12 getting above the boundary layer and moving all the
13 way in to be mixed down once you get there.

14 And so almost all the time, the highest
15 concentrations are going to be right at the shoreline
16 or even, potentially, at the state seaward boundary,
17 if that's what you choose as your evaluation point,
18 the edge of the state. So I -- I don't think coastal
19 fumigation or platform downwash are super-duper
20 important. I think it would be nice to see those in
21 there.

22 And I'm going to kind of blend into question
23 two as what do I see as the most immediate need. And
24 that would be the -- the overwater surface layer
25 parameterization. But it's a really slippery slope.

1 If you try to just take the COARE, C-O-A-R-E, the
2 Coupled Ocean-Atmospheric Response Experiment -- if
3 you try to take that formulation of the Monin-Obukhov
4 similarity theory layouts, it's based on the Liu,
5 Katsaros and Businger, LKB, which came out of the
6 University of Washington.

7 If you try to just take that and cram it into
8 AERMET's current formulation, it's not going to work.
9 COARE was developed specifically based upon the
10 typical kinds of measurements that you get over water.
11 You have sea surface temperature. We have an air
12 temperature. Because we have a sea surface
13 temperature, we can assume that the air right next to
14 that sea surface is saturated with -- at the
15 temperature of the sea. So you have a mixing -- rich
16 water vapor mixing ratio right there.

17 Then if you measure relative humidity, then
18 you have two layers of mixing ratio and two layers of
19 temperature and two layers of wind speed, because we
20 assume that the wind speed right there at the surface
21 is zero, and you can solve the full Monin-Obukhov
22 similarity theory.

23 Over land, the -- we don't have a really good
24 way, given the current measurements, to estimate
25 things like latent heat flux. Over the land also,

1 we -- we believe that something like 90 percent of the
2 incoming solar radiation turns into sensible heat flux
3 and latent heat flux doesn't play a huge role. Over
4 the water, it's more like 70 to 80 percent of this
5 incoming solar radiation going -- goes into
6 evaporation like heat flux. So it plays a huge part
7 of the role there, pretty important.

8 Over land, because of the kinds of data that
9 were being taken, that the model was designed to --
10 was formulated to take advantage of, the role of q^*
11 and latent heat flux has been greatly diminished and
12 reduced out of this thing, out of the AERMET
13 formulation.

14 So just taking -- you can -- you can kind of
15 argue that the AERMET's formulation of the Monin and
16 Obukhov similarity theory is a -- a simplified
17 version. I mean, we have -- the Bowen ratio idea is a
18 pretty simple way to approach our latent heat flux.
19 So it's a simplified version and the -- just cramming
20 the COARE algorithm into that is not going to
21 particularly work very well.

22 You'd have to rewrite all of AERMET and
23 reformulate all of AERMET to be more general and then
24 apply it both towards the -- you make the
25 simplifications that are appropriate for over land and

1 simplifications that are appropriate for over water.

2 And I know James -- James Thurman is working
3 on a -- a rewrite of AERMET, but I believe that your
4 rewrite is not supposed to be about introducing new
5 features into AERMET. It's only replicating the
6 existing model formulation of AERMET.

7 I'll talk about this a little bit later on in
8 the prognostic thing -- prognostic panel, but AERMET's
9 formulation, I believe, has not been really looked at
10 in a good bit of time here, hasn't been updated like
11 some of the prognostic models have been updated.
12 So -- but we'll -- we'll talk about that later --
13 later on today.

14 I think in the meantime, we do have AERCOARE.
15 AERCOARE is useful if you have measured meteorology,
16 though one of the other big secrets is that the data
17 retention rates for a lot of offshore buoys,
18 especially in the Gulf of Mexico -- even in the Gulf
19 of Mexico, where it's -- you know, except for
20 hurricanes, it's a pretty benign type of situation
21 there. The data recovery rates are still pretty poor,
22 75 percent. So it's not PSD quality measurements that
23 we're using -- that you're using there.

24 And AERCOARE doesn't produce anything about
25 the mix layer height. In fact, if you were trying to

1 just use the AERMET formulation as is right now, you'd
2 have to really look very closely about the mix layer
3 and about the whole assumption that sunlight hours are
4 convective and ark hours are stable, because over the
5 ocean, stability has a lot more to do with cold or
6 warm invective.

7 When the wind's blowing from warmer sea
8 surface temperature towards cooler sea surface
9 temperatures -- like, when it's going north in the
10 Gulf of Mexico, the southern part of the Gulf of
11 Mexico is warmer and it's going from hot air -- it's
12 bringing hotter air over cooler sea surface
13 temperatures, it actually gets stable, even though
14 it's 80 degrees temperature -- water temperature. So
15 that had -- that would have -- would have to be looked
16 at, too. So rewriting AERMET would be a huge slippery
17 slope, I think.

18 Question three about the priorities for the
19 next years, we do have the AERCOARE, which we could
20 probably use for most of the time. We do have air --
21 let's see. We could use WRF and MMIF in direct mode,
22 so you skip writing -- skip using AERMET and you write
23 it directly.

24 There's no regulatory framework for doing that
25 right now. The regulatory says that we have to use

1 AERMET. So either you have to then change the
2 regulations to accept AERCOARE and run MMIF data
3 through AERCOARE, even though the Monin-Obukhov
4 similarity formulation in WRF and in AERCOARE are
5 mighty similar. They're pretty much the same thing.
6 You don't really need to use AERCOARE, but that will
7 get us by for another couple of years.

8 Since you opened the door, from an applicant
9 perspective, there are a few other things that are --
10 that we would like to say would -- would be really
11 cool to see. Like, if you rewrote the AERMOD COARE to
12 turn the pollutant ID from single element to a vector,
13 a list, you know, then you can do multi-pollutant
14 AERMOD. It doesn't seem like it would be that hard to
15 do in one run. You know, we always have to do four
16 AERMOD runs, five AERMOD runs at the very least. It'd
17 be nice to have to do fewer of them. It's easy, I
18 think -- well, I hope it's easy.

19 Or how about a parallel version of AERMOD?
20 There's other people who have done parallel versions
21 of AERMOD. It doesn't like it should be impossible to
22 do as well. That's all for me.

23 DR. VENKATRAM: Thank you very much again.
24 You must be wondering why I'm back again. If you have
25 been around as long as I've been in the community,

1 you're involved in everything.

2 So here are the questions, OCD model, they
3 want to replace it, so what do you do about it and
4 what is immediate need and what are the priorities.
5 So I'm not going to repeat the questions and talk
6 about it. Just let me say a few words about OCD
7 itself.

8 OCD was developed in 1985, quite a long time
9 ago -- what, 20 plus 15 -- 35 years ago. And it is
10 for offshore releases. If you notice the picture --
11 if you look at the picture, it just shows an offshore
12 release.

13 Fumigating, I'm told now that fumigation is
14 not that much of a problem. I suppose it's not. I
15 don't know. That -- but that was the original. OCD
16 does have that and it does have some other features
17 that I'm going to talk about in a few minutes.

18 Steve Hanna, Lloyd Schulman, Paine and a whole
19 bunch of people put it together, and I think it's
20 still being used. So one of its features, it uses
21 Briggs formulas for dispersion based on stability
22 classes that are keyed to Monin-Obukhov lengths, and
23 it uses an AERMOD formula type for very stable
24 conditions because at that time, in 1985, we were
25 doing CTDM, the complex terrain dispersion model, and

1 we had come up with a vertical dispersion algorithm
2 that was then adapted -- or adopted in OCD.

3 Then we had a thermal internal boundary layer
4 line [sic] that allowed for fumigation. It assumes a
5 linear growth with distance. Then we have dispersion
6 over land, again, Briggs formulas for stability --
7 keyed to stability process [sic]. Then we had RTDM
8 for complex terrain. We had some linear chemistry
9 features.

10 I think one of the outstanding features of the
11 OCD model, it handles the complex geometry relative to
12 the sources. I think it's something that we should
13 consider adopting. Then it had been evaluated with
14 databases -- a limited evaluation with databases and
15 seems to -- to work.

16 So what do we do now to replace this with more
17 modern formulations? First thing is I think AERCOARE
18 is a -- is a viable processor that can be adapted for
19 AERMET. I'm not as pessimistic as Bart was about
20 getting down the slippery slope that is -- which is
21 what he called it. But I think -- I think we can do
22 things to account for overwater dispersion.

23 Right now, it uses Monin-Obukhov similarity.
24 That's based on temperature differences, but maybe we
25 can use energy balances rather than temperature

1 differences. It meets -- it accounts for water vapor,
2 the role of water vapor. You need to worry about
3 virtual temperatures and saturation features. It also
4 accounts for roughness of the water. It uses --
5 which, again, you're calculating surface friction
6 velocity. You calculate roughness. It's no longer
7 keyed to land surface type.

8 What I like about the fact is when they did
9 the evaluation, the boundary height that worked best
10 was the empirical equation I put together -- put
11 together years ago, so I like it very much. U^* to the
12 power three by two, apparently, that worked the best.

13 So we have a viable alternative for
14 meteorology. Maybe I'm exaggerating that. Maybe this
15 is much more difficult than my cursory examination
16 showed, but there is something there that we can work
17 with.

18 The second thing is over land, what do we do?
19 The first thing is the internal boundary layer. And
20 the reason I put this slide up was this is the very
21 first paper I ever wrote. This was aeons ago, 1976 or
22 1977. I remember very clearly when it was accepted I
23 ran around the office saying, "My God, this is the
24 first paper I wrote and it was actually reviewed by
25 James Deardorff, who was one of the gods of

1 meteorology. And James -- Deardorff actually wrote to
2 me.

3 So, anyway, the main -- main reason we did
4 this was in this -- all this coastal fumigation was
5 extremely important because power plants were located
6 next to -- next to the shoreline. So fumigation was a
7 major issue, so we needed to know where it fumigated.

8 So we came up with the equation to predict the
9 height of the internal boundary layer or the thermal
10 boundary layer. And what is important about this
11 equation is that h grows as distance to the power of
12 half and not linearly. So I never liked the linear
13 equation, even though Steve proposed it.

14 So I said it should be more like x to the
15 power of half. So we decided that had we now had
16 this -- notice it again has some temperature
17 differences. It's got the temperature over the land,
18 the temperature of the water. You need to know the
19 potential boundary to gradient over -- over the water,
20 a whole bunch of variables that you might not have
21 access to.

22 So how do we get around this? So one of the
23 things you want to do when you're coming up with a
24 dispersion model is you want to have the least amount
25 of dependence on these variables you can never

1 measure. Okay?

2 The second thing is you want to make it
3 robust. You want to make it work under a lot of
4 circumstances. So what we did was, okay, let's come
5 up with an equation of the following form. Just bear
6 with me.

7 It basically says the height of the internal
8 boundary layer is what it was over the ocean plus --
9 plus a term that accounts for the fact that after it
10 undergoes transition from over the water to land, it
11 has to be equal to the boundary layer over land. So
12 why not basically have a square root dependence
13 between ocean and land?

14 And z_i over land is predicted by AERMET.
15 AERMET actually predicts the z_i over land. So -- so
16 what I basically said was we came up with the
17 formulation in 1986 suggesting a robust way of doing
18 it which basically says h is proportional to x to the
19 power of half at small x over the land. And then it
20 achieves the equilibrium at large x . So that's
21 basically what I'm suggesting; that it's not really
22 difficult to do, fairly simple to implement in AERMET
23 because you really don't have to have temperature
24 differences.

25 If you know what the boundary layer height is

1 over the ocean and you know what the boundary layer
2 height is over the land, you can essentially
3 interpolate using x to the power of -- using this type
4 of equation that I've suggested.

5 And then the second thing I want to talk to
6 you is people who are aware of what w^* means, you
7 know, you -- you see that equation basically depends
8 on the surface heat flux. It depends on the mixed
9 layer height and if z_i is the boundary layer over the
10 land where it is x to the power of half. You get an
11 equation in which the convective turbulence, which is
12 the turbulence that controls dispersion over land, is
13 actually very insensitive to the distance. It's x to
14 the power of one-sixth. So you can get away with
15 simply using AERMET w^* .

16 You can simply say, well, AERMET is going to
17 work because it's -- you really don't have to be --
18 worry too much. And notice it's also proportional to
19 the heat flux to the power of one-third. So you can
20 make big mistakes in the heat flux and still get away
21 with it.

22 So what I'm saying is you can still use z_i
23 over land. Okay? So -- so I'm being optimistic here.
24 I'm saying, look, things can actually work. You can
25 actually adapt AERMET with small modifications.

1 And then I want to talk about dispersion.
2 First thing I did was talk about meteorology. I'm
3 optimistic AERCOARE perhaps can be adapted, perhaps
4 don't worry about temperature difference, worry about
5 energy and maybe you can -- you can get around using
6 variables that we don't measure.

7 And here is a paper that looked at fumigation
8 by a guy called Misra. Again, it was done years ago.
9 It's surprising that I'm still talking about these
10 things. But it was done -- again, this is coastal
11 fumigation and we came up with very elaborate models
12 to look at coastal fumigation where we accounted for
13 the fact that fumigation occurred over distances along
14 the thermal internal boundary layer.

15 But what is -- what I want to point out here
16 is these formulas for sigma-Y and sigma-Z, all it
17 basically says is you've combined something that
18 happened over the stable boundary layer with something
19 that happened over the unstable boundary layer. And
20 we know how to do both of them. We know how to do
21 dispersion over the stable -- stable boundary layer.

22 So I don't think it's that difficult as long
23 as you know where the plume intersects, the thermal
24 internal boundary. You can actually compute --
25 compute these plume spreads. So -- so my -- my basic

1 message here is AERMOD can include offshore sources
2 without major modifications. Of course, I could be
3 completely wrong.

4 So -- so AERMET has to be expanded. I think
5 AERCOARE is a good candidate. And I also believe that
6 TIBL behavior can be incorporated into AERMOD. And
7 you don't have to be extremely accurate about it,
8 because as I showed, a lot of the parameters are not
9 very sensitive to how precisely you do it. Thank you.
10 That's all.

11 MR. TILLERSON: George, we got time for
12 questions?

13 MR. BRIDGERS: If there needs to be questions.

14 MR. TILLERSON: Does anyone have any
15 clarifying questions that they would like to ask any
16 of the panelists?

17 MR. PAINE: Sure. Basically, on the
18 hard-to-measure meteorological parameters, such as the
19 air-to-sea temperature difference and the overland
20 that you see at the top of the TIBL, I would
21 recommend -- maybe you can comment on this -- if you
22 find some really good observational MET towers or
23 buoys where you could compare a prognostic model to
24 these measurements, I would recommend you consider
25 that.

1 For example, nuclear power plants on a
2 shoreline. In Massachusetts, they have a 60-meter
3 tower. This has decades of data, delta-T. You should
4 consider calibrating a MET model against that type of
5 measurement, opportunistic measurements.

6 Maybe, Venky, there's some data from those
7 studies on the shore of Lake Erie that could be used
8 in testing a model for shoreline power plants.

9 Just one other -- couple of things. Platform
10 downwash, if ambient air doesn't extend out way over
11 the ocean, maybe we don't have to worry about it. But
12 some -- some jurisdictions require predicting out of
13 the top of a -- you know, the water surface
14 concentrations within 500 meters, and there you do
15 need platform downwash.

16 MR. SZEMBEK: So following up on Bob's
17 question, is -- could satellite data be used to
18 augment and perhaps even be used as a form of
19 measuring observations, whether it's in how you
20 develop the prognostic data or even how it's used
21 indirectly in developing meteorology in AERCOARE?

22 DR. BRASHERS: I suppose there are a few
23 satellite sources of wind speed. I'm not sure if an
24 SSMI is still flying, but you could use that to do --
25 find the wind speed offshore. I don't know that you

1 would be necessarily more accurate or more unbiased
2 than if you ran a meteorological model, a prognostic
3 model, and used that. I think you would be probably
4 on the same order.

5 The difference, I suppose, would be that when
6 you're running a prognostic model, you're creating
7 terabytes of data, as opposed to downloading terabytes
8 of data to your server. It's not --

9 MR. SZEMBEK: You also have the sea surface
10 temperature, so --

11 DR. BRASHERS: Yes. Sea surface temperatures
12 are -- high resolution sea surface temperatures are
13 normally an input to any prognostic meteorological
14 modeling.

15 MR. SZEMBEK: Used from the satellites?

16 DR. BRASHERS: Yes.

17 MR. SZEMBEK: Okay.

18 DR. VENKATRAM: I concur with what he said. I
19 think we can use sea surface temperatures from
20 satellites, and I'm told that satellites can even give
21 you ocean current speeds, which can ultimately give
22 you surface friction velocities, which perhaps would
23 work.

24 But my -- my feeling is I think you should --
25 we should construct a model that's robust in the sense

1 that it doesn't -- it's not very sensitive to inputs.
2 That's what we did in AERMOD. We tried our best to
3 make sure things were not sensitive but, at the same
4 time, be realistic.

5 Two things: one, it had to be robust, not
6 sensitive to inputs; at the same time, provide a
7 realistic value. So I feel that if it depends so much
8 on temperature differences, we should avoid
9 temperature differences and solve the problem. All
10 right?

11 We should then rely on energy as do in --
12 incoming solar radiation, something about evaporation.
13 Maybe it can be done. I really don't know. But I
14 think the robustness is a very important
15 consideration.

16 And this is in response to even what Bob said.
17 Bob was worried about temperature differences. And
18 then if -- then if that's sensitive to temperature
19 differences, it's going to be very difficult to come
20 up with a model. Even though in reality it does, but
21 maybe you can do something that's sort of approximate,
22 which is exactly what I want. It's not accurate in
23 every set, but it's robust and realistic, what AERMET
24 does.

25 MR. TILLERSON: All right. We are running

1 into our lunch time here, so I would like personally
2 to thank each of you for your participation, and I
3 believe that we should all give them a round of
4 applause.

5 MR. BRIDGERS: And as we break, I am going to
6 suspend the public hearing until 1:00. Again, 1:00,
7 we'll get started on time and I hope everybody has a
8 great lunch.

9 If there are any other questions or things
10 about the facility and logistics, please come find me.
11 Thank you.

12 [LUNCH BREAK - 11:47 A.M. TO 1:01 P.M.]

13 MR. BRIDGERS: I would reopen the public
14 hearing for the afternoon session, where we've got a
15 series of expert panels again this afternoon. And
16 we're going to start off with mobile sources. I will
17 turn it back over to Dr. Chris Owen.

18 DR. OWEN: All right. Thank you, George. So
19 mobile sources. I know that we don't have a lot of
20 stakeholders from that group in the group today, but I
21 think it's a particularly useful topic for us to learn
22 more about and how we're dealing with that, because
23 it's our first BETA option to come out of our new
24 ALPHA/BETA paradigm. So hopefully we'll learn some
25 useful things about how we got to BETA, to the point I

1 made earlier this morning on the white paper set of
2 slides.

3 So a little bit more background, in case you
4 haven't been following what's been going on with
5 modeling mobile sources from the study perspective.
6 With the 2017 update to Appendix W, we specified
7 AERMOD as the preferred model for mobile sources.
8 This replaced CALINE3 for refined modeling. Just a
9 caveat asterisk there, you can still use ALPHA QHC for
10 screening for CR analyses, but for refined analysis
11 for PM, your hotspot for performing analysis and
12 similar analyses, AERMOD will be the preferred model
13 and that will go into effect in January of 2020.
14 That's the end of that grace period.

15 The replacement of CALINE3 with AERMOD was
16 based on a 2013 paper from ORD that compared AERMOD,
17 R-LINE, ADMS, which is the UK's online dispersion
18 model, as well as the CALINE models; actually, CALINE3
19 and CALINE4. That analysis found that the modern,
20 basically, Monin-Obukhov-based models -- AERMOD,
21 R-LINE and ADMS -- all had fairly similar performance
22 and there's a pretty big performance gap between
23 CALINE3 and CALINE4 with the more modern models.

24 Some other info here, we actually entered into
25 an interagency agreement with Federal Highway -- we've

1 mentioned this a couple of times already today -- to
2 integrate ORD's R-LINE, R-dash-LINE, model -- and
3 that's how ORD specifies this moving forward. If you
4 see R-dash-LINE, that's referring to ORD's stand-alone
5 R-LINE model. If you see RLINE as just one phrase,
6 that's referring to what we have in AERMOD.

7 In spring 2017, so shortly following
8 publication of the study, we entered into this
9 interagency agreement to integrate R-LINE into AERMOD.
10 R-LINE is a steady state Gaussian model and it's
11 designed to simulate emissions from line sources. And
12 it was developed specifically to look at surface
13 releases along with emission sources. And earlier,
14 we -- Bob showed a picture of the Idaho Falls barrier
15 study. And so those datasets were used in the
16 development of R-LINE as well as some algorithms
17 within R-LINE.

18 Some of the advantages or some differences, I
19 guess, in R-LINE and the other parameterizations that
20 are in AERMOD for modeling mobile sources. R-LINE
21 includes meander. Just like point and volume sources
22 and VOLUME sources are an option, it has meander
23 sources. But the inputs are fairly easy to use. Like
24 the LINE source, you just hit a button and a single x1
25 and y2 line and x2, y2 and you just put your end

1 points in and put the roadway. And so it's a reduced
2 pathway to put your inputs into the model and still
3 get the advantage of having meander in your model
4 simulation.

5 It also runs a whole lot faster than VOLUME
6 sources. If you try to do roadway analysis with
7 VOLUME sources, you may note they take quite a while.
8 And so you can get the advantage of having meander
9 considered in your modeling with simplified inputs and
10 much shorter run times compared to some of the other
11 options as you combine those two.

12 The R-LINE model also has additional
13 parameterizations with formulations of barriers, so
14 solid noise barriers specifically and depressed
15 roadways. And so those are important and frequent
16 nearby features that are -- cannot necessarily be
17 modeled right now in AERMOD using the LINE source and
18 the VOLUME source options.

19 So in AERMOD, 19191 -- of course, Clint and
20 James covered this already, but a little bit more
21 details. We added two new source types that are based
22 on the R-LINE source from ORD.

23 The RLINE source has been added as a BETA and
24 so this has the new dispersion characterization of the
25 LINE source. The inputs for that RLINE source are

1 identical to the LINE source inputs. And so if you
2 want to test RLINE, you can simply change model
3 simulation as the LINE source in it and put an R in
4 front of that LINE and you can run RLINE and see how
5 that affects your model simulation.

6 We've also added the RLINEXT or R-LINE
7 extended source as an ALPHA option. In the RLINEXT,
8 the basic dispersion curves are the same. If you
9 input the source coordinates identically between the
10 two and -- and don't use the barriers or depressed
11 roadways, you'll get identical concentrations. So
12 they are the same. The RLINEXT gives you a pathway to
13 access the solid barrier algorithms and those
14 depressed roadway algorithms. And the barriers and
15 depressed roadway algorithms are an ALPHA part of this
16 that were developed in testing.

17 There are some limitations to RLINE. There's
18 lots of developmental work to do still here. Both
19 sources are limited to FLAT terrain right now. RLINE
20 was developed basically in flat terrain, and so there
21 is no processing for differences in elevations. As I
22 mentioned, we need more research and development for
23 the barrier and depressed roadway algorithms. Field
24 studies are an important piece of -- of being able to
25 continue that evaluation.

1 And then there's more practical needs for
2 moving RLINE forward for the community, which is being
3 able to account for two barriers, so a roadway segment
4 and then a barrier on each side of the roadway. At
5 barrier edge effects, we need parameterizations for
6 those.

7 We also added the URBAN option for both the
8 RLINE and RLINEXT sources. As Clint mentioned
9 earlier, that URBAN option is ALPHA, whether you're
10 using the RLINE or the RLINEXT. So we need more
11 evaluation about the limitation of the URBAN option as
12 well.

13 So that's the -- the background information I
14 have. I'd like to introduce our panelists, if y'all
15 wouldn't mind coming up now and we can get going with
16 our session.

17 Our first panelist is going to be Dr. David
18 Heist. David is a research scientist at EPA's Office
19 of Research and Development for the last 16 years. He
20 earned his Ph.D. in mechanical engineering from
21 Cornell University in fluid dynamics. Davis performs
22 wind tunnel experiments on flow and dispersion at the
23 EPA's Fluid Modeling Facility and works to further
24 develop the Agency's dispersion models.

25 Our second panelist is Dr. Michelle Snyder.

1 She is an atmospheric scientist at Wood Environment &
2 Infrastructure Solutions, LLC. So if you see Wood on
3 her nametag, there's more -- more to it than just
4 Wood. She also worked at UNC's Institute for the
5 Environment and she's also worked for the EPA's Office
6 of Research and Development. She specializes in
7 atmospheric dispersion, numerical model development
8 and air quality data analysis. She's also one of the
9 main developers of the R-LINE model when she was at
10 ORD.

11 And our last panelist, Mr. Christopher Voigt,
12 is a Senior Environmental Engineer with the Virginia
13 Department of Transportation Environmental Division.
14 He's served a number of roles with the American
15 Association of State Highway and Transportation
16 Officials, as AASHTO as you may know them. He's
17 currently the Vice Chair of the CES Air Quality
18 Committee -- the CES Air Quality, Climate Change and
19 Energy Subcommittee. Sorry.

20 So I'd like to thank our panelists for being
21 here. And then just briefly, the questions that we
22 have for our panelists today, just to summarize, we're
23 seeking comment on what we have done recently with
24 integration of R-LINE and what are the priorities for
25 moving forward with the developmental needs from that

1 implementation.

2 Other than the RLINE framework, what other
3 developmental needs are important for the mobile
4 source community, and then, finally, what do you
5 envision as the priorities changing in the future
6 and -- and how we need to consider those going
7 forward. So I'll turn things over to David Heist.

8 DR. HEIST: Thanks for the chance to speak on
9 opportunities and challenges in modeling dispersion
10 for mobile source emissions. We at ORD's Fluid
11 Modeling Facility began working on mobile
12 source-related dispersion issues about ten years ago,
13 when we did some initial experiments looking at the
14 way roadway configurations affect near source
15 dispersion.

16 We looked specifically at solid roadside
17 barriers, depressed roadways and various combinations
18 and variations on those -- those configurations. It
19 was also during this time that we began working on the
20 R-LINE, R-dash-LINE, dispersion model as a way of
21 testing out some ideas about how to improve modeling
22 of near ground level dispersion from roadway
23 emissions.

24 We used R-LINE as a kind of laboratory to test
25 out our -- test out our ideas, developing dispersion

1 curves, barrier and depressed roadway algorithms,
2 maintaining a separate model to avoid confusion --
3 confusion with EPA's regulatory model, AERMOD.

4 Along the way, various field and laboratory
5 databases became available for development and
6 evaluation of various aspects of near ground level
7 dispersion for mobile sources, which we worked to make
8 the best use of. So now that -- now as parts of
9 R-LINE are mature enough, the ALPHA/BETA structure in
10 place for testing algorithms within AERMOD comes at a
11 good time.

12 Some aspects of R-LINE have been peer-reviewed
13 enough to be ready for inclusion as BETA options.
14 These include the basic methodology for converging
15 solution with a sufficient number of point sources
16 distributed along the roadway; the algorithm to
17 account for lowering meander; and revised dispersion
18 curves based on new analysis focused on near ground
19 level dispersion.

20 Other aspects of R-LINE, like the barrier and
21 depressed roadway algorithms, still need more
22 development and evaluation and, therefore, are being
23 designated as ALPHA options at this time.

24 So, in my opinion, the ALPHA options we need
25 to focus our development effort on include, of course,

1 the -- the near road barrier algorithms. The current
2 version included in AERMOD in the recent release is an
3 early version of the barrier algorithm that was
4 released when we released R-LINE in 2013.

5 Since that time, several new developments have
6 been made modeling the effects of solid roadside
7 barriers. For example, in 2014, Schulte, et al.,
8 published a paper describing an algorithm for a
9 barrier on the downwind side of the roadway that
10 produces concentrations that are well-mixed over the
11 height -- over a height roughly proportional to the
12 barrier height, accounts for increased turbulence
13 intensity in the wake of the barrier and lofts the
14 pollutant plume over the top of the barrier.

15 Then in 2016, Ahanger, et al., published
16 further improvements to account for a barrier on the
17 upwind side of the roadway and for barriers on both
18 sides of the roadway. One additional concern which
19 we're currently working on is edge effects; that is,
20 what happens when the plume approaches the end of a
21 barrier and has the potential to disperse around the
22 edge of the barrier.

23 To that end, in coordination with Federal
24 Highways and OAQPS, we've performed a series of wind
25 tunnel experiments to quantify these edge effects for

1 varying wind directions and distances from the barrier
2 and for a variety of barrier configurations. We are
3 in the process of analyzing that data and developing
4 modifications to our barrier algorithms to account for
5 those edge effect phenomena. So all of that work --
6 the improved barrier algorithm, the algorithms to
7 account for the upwind barriers and barriers on both
8 sides of the roadway and the edge effects -- have been
9 and continue to be focuses of ours for model
10 development.

11 In addition, as new field datasets become
12 available that address these issues, they'll be useful
13 for evaluation of these algorithms as well.

14 So the second question about what EPA has not
15 already identified is a little hard for me to answer
16 since I work for EPA. But I guess I would say that
17 there are some important development areas with
18 respect to AERMOD that haven't been the focus of as
19 much discussion.

20 The first thing that comes to mind are the
21 barrier edge effects, which we just talked about. But
22 in addition, another topic that has been receiving a
23 lot of discussion lately is vegetative barriers. The
24 topic of mitigation of air pollutant effects is
25 multifaceted and important, but even for the special

1 case of roadside vegetative barriers, the variety of
2 possible configurations makes the problem very
3 challenging.

4 Some of those challenges include the density
5 of the vegetation, the height, the thickness, whether
6 it's deciduous or not, how complete or uniform the
7 blockage presented by the vegetation is, the
8 vegetation's effectiveness for aerosol deposition and
9 the possibility that the vegetation could be used in
10 combination with solid barriers.

11 A number of field studies have been performed
12 and a few wind tunnel studies and there is a fairly
13 rich literature on the use of windbreaks and shelter
14 fences for agricultural purposes, but much further
15 work is needed, including distilling all of that known
16 information on vegetative effects down to an algorithm
17 that can be introduced into the AERMOD platform that
18 would begin to account for the mitigation potential.

19 And while it is a -- quite a complex effect,
20 going about developing algorithms, we need to be
21 mindful not to unduly increase the -- the burden of
22 the model by requiring an excess amount of inputs to
23 describe a vegetative barrier. So there's a lot of
24 things to consider.

25 With respect to changes in mobile source

1 modeling issues over the next five years or so, one of
2 the primary things that I'll be looking for is more
3 datasets available for analysis, both for further
4 development of the modeling approaches and for
5 evaluation of relevant algorithms.

6 High quality tracer field experiments are
7 particularly valuable because the emission rate of a
8 pollutant is well controlled and measured. This
9 alleviates the challenge of estimating emissions from
10 vehicle activity.

11 I know we alluded to it earlier. There's a
12 study underway in California right now designed to
13 characterize the effects of solid barriers, including
14 the edge effects. I'm looking forward to seeing how
15 that experiment and others like it add to the
16 literature on mitigation strategies.

17 Another area to watch in the next five years
18 is the use of vegetation as a mitigation method, as I
19 already mentioned. This is an area of active
20 research, and as more information becomes available,
21 this can improve our understanding of the complex
22 interactions. However, there have been cases that
23 demonstrate that vegetation can have a negative impact
24 by trapping emissions, say, for example, in a street
25 canyon and increasing potential exposure. So

1 carefully planning how to deploy such strategies is
2 important.

3 In addition, there may be advances in
4 understanding health effects related to exposure to
5 mobile source emissions that will inform modeling
6 priorities and approaches. And as technology evolves
7 and fleet -- vehicle fleets turn over, the emission
8 profiles for mobile sources may change. This again
9 may inform modeling approaches and priorities.

10 New and innovative mitigation options may be
11 developed using different roadway configurations,
12 different combinations of vegetation barriers,
13 depressed roadways and other ideas and this may change
14 the kind of scenarios that are important to
15 characterize and understand and eventually model.

16 And, finally, as computational methods develop
17 and computer speeds increase, modeling tools may
18 evolve to make better use of those changes and so
19 we'll need to keep an eye on that.

20 And that's the end of what I have to say, but
21 I'd like to just thank you for the opportunity and for
22 your attention.

23 DR. SNYDER: All right. My name's Michelle
24 Snyder. I currently work for Wood Environment &
25 Infrastructure. And so thank you, Chris, for allowing

1 me to speak today. Roadways are one of the things I
2 really like to do and think about all the time.

3 So thank you, Dave. You stole most of my
4 material. But I do want to say that I -- I did do a
5 significant amount of work in including R-LINE into
6 the AERMOD model. It was a challenge, and so a lot of
7 my comments are going to be in that respect.

8 The -- the idea of two source types -- I know
9 it's kind of novel for AERMOD to have it this way, but
10 it was kind of essential to make a LINE source easily
11 compatible with an R-LINE source so that you could
12 really test the difference in the model dispersion
13 formulations. That's one of my concerns as well, is
14 that we have two models now that -- two source types
15 that model the same thing pretty easily.

16 So how do -- how do we address that and do
17 that moving forward, because you do have two different
18 ways for kind of modeling the atmosphere and so which
19 one is kind of scientifically right. And so I think
20 that's -- that's another question we need to address
21 maybe with all source types. I think that we need
22 something common between all of them. So my -- my
23 suggestion would be to have one LINE source -- source
24 type.

25 But that also comes with a few obstacles, and

1 those being that roadways are really hard to model.
2 Like Dave said, you have a lot of configurations that
3 are unique to roadways. You have barriers, vegetative
4 barriers. You have roadways and depressions. All of
5 those things make it complex to model the -- this
6 source type.

7 So whereas you would -- in building downwash,
8 you would use, you know, one building that influenced
9 your source, well, you might have a vegetative barrier
10 and your roadway might be in a depression. And so you
11 have multiple things that are really influencing your
12 roadway source type and that makes it really difficult
13 to input into your model because you have multiple
14 things going in.

15 You also have a lot of different algorithms
16 and adjustments to dispersion algorithms that need to
17 occur for each of those complexities. And so the
18 inputs become tedious and overwhelming. I could
19 imagine a case where you have a very urban area with
20 lots of roadway sources. Of course, roadways are very
21 important in urban areas because that's the source
22 that people are standing next to as they're on the
23 street, walking their dog. You know, they --
24 there's -- there's a lot of exposure to these types of
25 sources.

1 So what you want to do is model these really
2 well and include all of their complexities. So I --
3 this situation where you have lots and lots of sources
4 in an urban area means you have a lot of run time for
5 your dispersion model. You also have barriers and
6 other buildings that influence each of these sources.
7 So it becomes kind of a nightmare to tackle and track
8 all these different things that influence this version
9 on your sources. So the inputs become very, very hard
10 to do. I would describe it as a nightmare to try to
11 put that in the model as it currently exists.

12 So what I would say is it's -- we have -- now
13 we have an urban option that's ALPHA. We have a
14 depressed roadway option and a barrier option that are
15 ALPHA. I would say all of those need further
16 research. I kind of questioned putting in an urban
17 option to begin with because R-LINE was developed with
18 urban databases and the parameterization of R-LINE and
19 its dispersion curves was done in an urban setting, so
20 why do we need to make a further adjustment for urban
21 options?

22 For a depression, I feel like there's not --
23 there's not a lot of field studies. I know I was in
24 the wind tunnel facility with Dave and Steve back
25 there when we looked at depressed roadways. And then

1 I know that there was the Las Vegas near road study
2 where the roadway was in a depression, but there were
3 some other complexities going along with it -- with
4 that. And it's just hard to get a pure dispersion of
5 a depressed roadway field study. So that's
6 definitely -- definitely needed.

7 Barriers is coming along. There's a few
8 studies coming along that people have mentioned
9 before. But, again, like Dave said, you have one
10 barrier, you have two barriers, you have a barrier
11 with vegetation. You might have a barrier that starts
12 and stops; it's not continuous. It just becomes very
13 complex in terms of the inputs that you're putting in.

14 The more complex your inputs, the slower your
15 run times are going to be, no matter what model you
16 use. So that's definitely a consideration. So I feel
17 like EPA should focus on the wind profiling and
18 dispersion curves, as I mentioned before.

19 I also think that double barriers is --
20 happens a lot. We should focus on those kinds of
21 things. One thing that has not been mentioned yet is
22 intersections at interchanges. That's currently
23 addressed in the CALINE model, although the CALINE
24 model hasn't been updated in a while.

25 So it -- to me, intersections at interchanges

1 become an emissions issue. How do you really
2 characterize starts and stops of vehicle emissions?
3 Those become difficult.

4 Bridges and elevated roadways are not
5 addressed at all currently. And so those occur also
6 all the time and those would have some effects
7 because, obviously, there's roadways that are omitted
8 and there's emissions on these roadways. And when you
9 have them elevated, they disperse a little bit
10 quicker. So you may be actually overpredicting if you
11 model them as flat.

12 Prognostic models and representative
13 meteorology has been touched on in a few cases in a
14 few panels. I agree. Mobile sources have the same
15 issue. If you're -- if you're getting airport
16 meteorology, it might be kilometers and kilometers
17 away and that might not be necessarily be totally
18 representative of where your receptor is and the
19 location that you're at. So I think that some focus
20 needs to be put in that area and maybe some way to
21 kind of take your airport meteorology and get some
22 kind of adjustments to where you actually are.

23 A lot of these airports are in suburban areas
24 and so that's not really representative of a roadway
25 in an urban area. So these are things that -- that I

1 think EPA should consider and think about.

2 I also would add a plug in for adding meander
3 to AREA and LINE sources would be beneficial.

4 So, again, emissions and the source
5 characterization of these R-LINE or mobile source
6 roadways is very difficult and challenging and we
7 would need to think about that moving forward in terms
8 of the AERMOD model.

9 Future priorities, I -- I echo what Dave said
10 in that as computers get faster, we can put more and
11 more things into our model and we can compute more
12 things. But, like, how much is too much and what
13 things make a difference? And you want to focus on
14 the things that make the most difference, not the
15 things that make a little bit of difference, even if
16 they are there.

17 The model is somewhat limited in the term --
18 in terms of inputs and sources that it currently has
19 in its model setup, and the complexity of a road --
20 road network is very burdensome on computational
21 resources, inputs, databases and data generation. I'm
22 sure databases exist out there of some barriers in
23 some places, but whether there's a widespread uniform
24 database -- I don't know of it, but there could be.
25 It would be very large and very tedious and cumbersome

1 to use as an input to the model, even if you were to
2 break it down into the area that you had.

3 So those are the end of my comments. I will
4 now let Chris have the floor.

5 MR. VOIGT: Good afternoon, everyone. I
6 thought I'd start with a poll, Chris Voigt with
7 Virginia DOT, working with AASHTO. I saw maybe three
8 people in here that I recognized from a transportation
9 agency and I know Akula Venkatram has worked on mobile
10 sources, working on tracer studies right now.

11 Is anybody else in the room working on
12 transportation besides our panel? Three, four,
13 five -- okay, maybe ten. That's good. More than I
14 thought.

15 So question one asks -- I want to say right
16 off the bat on behalf of the AASHTO Air Quality
17 Subcommittee -- and AASHTO is the American Association
18 of State Highway and Transportation Officials, so,
19 basically, state DOTs. And we do a lot of work in
20 association with each other, and so I'm a vice chair
21 of that committee and been working on these issues for
22 a number of years and working a lot on just the
23 background on reviewing and improving research
24 proposals for NCHRP funding, National Cooperative
25 Highway Research Program funding.

1 So we very much appreciate the invitation to
2 come speak to you today and -- and talk about the
3 issues that -- that we see. We strongly support all
4 the R&D efforts to improve regulatory models. So on
5 the specific question of the relative priority for
6 solid barriers for depressed roadways, we don't -- I
7 tried doing a quick survey of state DOTs before this
8 meeting. Didn't get very much in the way of response.
9 I did get feedback from one large state on the West
10 Coast and they said solid barriers have the priority
11 now -- quote/unquote, now. So take that how you want.

12 I think, in general, the priority is really
13 going to be solid barriers and berms over rail-covered
14 depressed roadways as the barriers are just more
15 prevalent and so the potential benefits to state DOTs
16 doing project-level analyses is just greater.

17 We -- in the presentation that we saw from EPA
18 on -- on this new RLINE option with AERMOD, we didn't
19 see an overview of the benefits of the program in
20 terms of reduced concentrations or lower design
21 values. And so we'd like to see something like that
22 before we can make a decision what the benefits would
23 be for us.

24 We do have a recommendation that EPA work with
25 FHWA and state DOTs to develop representative case

1 studies and use typical cost data from -- for barriers
2 from DOTs and to develop cost effectiveness ranges.
3 And -- but the typical costs vary by state, so
4 you're -- you'd have to allow for a range of costs.
5 It could include vegetation, as I've heard mentioned
6 by the other panelists as an option if RLINE can be
7 modified to do that.

8 Let's move on to the second question: What's
9 the most important development area? This is my most
10 detailed answer, so I'll spend a little bit more time
11 on this one.

12 There's two points that state DOTs I think
13 would support. One is model evaluation for the
14 intended regulatory purposes of -- of the models.
15 That's all transportation facility types,
16 configurations and operating conditions for which we
17 are required by regulation to do analysis. So that's
18 sort of the trust but verify. We want to see the
19 data. You want to see the model is proven.

20 We'd also like to see it done for the
21 regulatory tests, the NAAQS, National Air Quality
22 Standard, tests and Build/No Build tests. And then --
23 so that's sort of the long-term view.

24 In the near term, in order to be able to
25 achieve that long term, we need to have tracer data to

1 be able to do the model evaluations. A critical first
2 step is the first domino to fall. So to be able to do
3 that, we need to look at funding options, and some may
4 be doing EPA and FHWA and state DOTs and maybe some
5 other organizations. We need to pool funding and --
6 and get some tracer studies done. I think that's the
7 highest priority in the -- in the near term.

8 So I have -- the next couple of slides deal
9 with why we put the -- put this as the highest
10 priority and then what out of all we'd like to see in
11 the way of model evaluations.

12 The first point is AERMOD is not, to our
13 knowledge -- I should back up a second. State DOTs
14 have been not -- not been using AERMOD until about
15 2010, when it first came out. So we don't have a lot
16 of experience with it. We use consultants to do the
17 work. And so we're coming up to speed now with --
18 with some of the issues -- underlying issues with
19 AERMOD.

20 And one of the things that we've identified
21 with AERMOD is, due to the lack of tracer data, it has
22 not been validated for all these different
23 transportation facility types that we are required to
24 model. And to us, that's a large gap.

25 And the facility types include highways,

1 interchanges and intersections, as Michelle noted, bus
2 and truck terminals and whatever else might come up,
3 port operations, that sort of thing. The -- the
4 tracer studies are cited in the last update to
5 Appendix W to address all these types. And,
6 basically, due diligence requires that we do test the
7 model and validate it for all these types.

8 The second point -- and this is in reference
9 to recent studies -- one was just presented earlier
10 this week, on Monday -- concerning AERMOD might
11 overestimate design values for transportation
12 projects, at least in specific cases.

13 So we had a consultant working in the Pooled
14 Fund study look at a couple of case studies, one in
15 Providence and one in Indianapolis. In both cases,
16 they identified -- or the modeling chain -- the
17 traffic, emissions and dispersion modeling chain
18 resulted in an overestimate by a substantial margin of
19 the near road concentrations as measured at the near
20 road monitors.

21 And they concluded that this is likely
22 dominated by the emissions and dispersion model
23 components. They did not put the blame on either one.
24 It's kind of spread. But we need to do more research
25 to know how -- precisely where -- where things are

1 going wrong and what needs to be done.

2 DOTs are required to model CO and particulate
3 matter for the EPA conformity regulation. We model
4 other pollutants as well, but of all the things that
5 we model, PM_{2.5} seems to be the biggest challenge. And
6 the reason for that is the background concentrations
7 are so high relative to -- to the annual primary NAAQS
8 that it becomes a challenge sometimes to meet -- to
9 show that your project meets the NAAQS and it raises
10 questions about how accurate is the model really for
11 that particular application; is the model accurate
12 enough to do that.

13 It's one thing to do -- to assess models to
14 model evaluation, to compare AERMOD to CAL3 or
15 whatever other models there might be and say AERMOD is
16 the best. That's a different question than asking is
17 AERMOD accurate enough for this particular
18 application. And so the concern is really -- that's
19 where concerns really arise.

20 That leads to the next point. From the state
21 DOTs and the regulated community point of view, we
22 don't want to -- we appreciate you need to do the work
23 to compare the dispersion models that's been done for
24 Appendix W. We'd like to see that extended to address
25 the regular -- regulatory tests, the NAAQS and

1 Build/No Build tests.

2 And so the first question that comes up to
3 us -- and bear in mind we've only been doing this for
4 the last -- less than a decade -- where has this been
5 done in the past; who's -- who's done a study looking
6 at uncertainties with the model and how that affects
7 the determination of compliance with the NAAQS and
8 Build/No Build tests. And so that question arises in
9 part because of the uncertainty identified in the
10 Pooled Fund study I mentioned on the last slide.

11 And also -- you may not -- may or may not be
12 aware, when we do air quality studies for
13 transportation projects, we're doing them for purposes
14 of NEPA or EPA's conformity regulation applies, or to
15 incorporate it into the NEPA study.

16 NEPA requires -- has an emphasis on
17 transparency or disclosure. So if there's an issue
18 with the science or how it's -- something's being
19 assessed, we're supposed to address it. Typically, in
20 NEPA studies, for at least high volume roadways, we
21 address something called mobile source air toxics.
22 That's just an emission analysis and Build/No Build
23 comparisons. There's no dispersion modeling. But I
24 mention it because it includes, developed by FHWA
25 staff and a great help to state DOTs, a section on the

1 uncertainties, what -- the limitations of the science.
2 And so that satisfies our need to be transparent to
3 disclose all the issues what we know about limitations
4 of our modeling.

5 We don't have that right now for CO or PM.
6 For CO, it's not really an issue because the margin is
7 so wide nobody really cares. But for PM, it -- it's
8 an issue. We really would like to be able to address
9 that and we're not really doing it at all right now.

10 So for NAAQS tests, the issue -- the -- the
11 general question applies, how should uncertainty be
12 addressed or considered in determining compliance with
13 the NAAQS. And so that's both the modeling chain,
14 traffic, emissions, dispersions and dispersion
15 modeling output. It's also the background
16 concentrations and -- and that's a huge issue because
17 there can be a lot of, shall we say, uncertainty in
18 determining what the appropriate background
19 concentration is because you can have a monitor in the
20 area, but it not -- might not be representative of
21 your site. So you just might not have good data is
22 what it comes down to.

23 For Build/No Build tests, the -- what seems to
24 us to be the more awkward question, what if the
25 traffic -- emission chain conversion modeling

1 uncertainty is greater than the difference in the
2 Build/No Build model concentrations? That could
3 happen and how do we address that?

4 So those are the -- that's -- these are the --
5 the issues that give rise to our recommendations for
6 model evaluation for transportation. And these
7 recommendations I'm going to go over right now are
8 generally consistent with the report that came out in
9 2007 from the National Research Council called "Models
10 in Environmental Regulatory Decision-Making." We
11 really like this study. You know, it doesn't apply to
12 air quality specifically since it covers various
13 issues including air quality. I don't think it really
14 addressed project-level -- level air quality.

15 But in reviewing this -- this study and its
16 recommendations, there are several that jumped out to
17 me that would be helpful to talk about in
18 project-level analysis for conformity and for NEPA.

19 We'll start with life cycle model evaluation.
20 There's four points here. This is generally includes
21 accuracy, uncertainty, quality -- quality assurance
22 and quality control. So we would like to see -- our
23 recommendation is model evaluation against
24 exhaust-based tracer data -- so the kind of data
25 that's being developed by Caltrans with Akula

1 involved in that study -- for all facility types,
2 configurations and operating conditions for which
3 modeling is required under the EPA conformity rule.

4 If you're going to make us do modeling and
5 we're going to end up with go/no go decisions on a
6 project because of this modeling, we want the models
7 to be validated to the extent possible to the limits
8 of the science.

9 So some evaluation's been done for a low
10 volume highway and tracer data collection is in
11 progress or planned for a higher volume freeway with
12 or without noise walls. That's the Caltrans study.
13 But we still need tracer data for all the other
14 facility types -- interchanges, intersections, truck
15 and bus terminals, et cetera -- configurations --
16 depressed or elevated -- and operating conditions --
17 so congested versus uncongested, basically, where you
18 have more turbulence possible.

19 One of the major recommendations of the NRC
20 report that is consistent with the NEPA requirements
21 is to quantify and communicate uncertainty. Maybe or
22 maybe not we can quantify the uncertainty, but we
23 definitely need to address it, to address the topic at
24 least in a qualitative way. And so one of the
25 recommendations we have here is EPA working with FHWA

1 and -- and AASHTO is to look at funding a
2 comprehensive assessment of uncertainty for the
3 traffic emission dispersion modeling change. That
4 would be the starting point for doing something on
5 uncertainty.

6 If it's already been done and it's in the
7 literature and we just haven't seen it, then please
8 let us know. But we think that's something that
9 hasn't been done and needs to be done.

10 I overshot here. Okay. Continue with the
11 model evaluation. We want to test for the intended
12 purpose. So that's the facility types I already
13 mentioned and the regulatory tests. We specifically
14 want to know that the NAAQS and Build/No Build tests
15 can be met with statistical confidence or with what
16 level of confidence for all facility types or by
17 facility type or what limitations need to be
18 specified.

19 So it requires consideration of the
20 uncertainty in the modeling chain and also in the
21 background concentrations. The last point there, the
22 fallback option -- for those of you that are not
23 completely current on what the detailed requirements
24 are of the EPA transportation conformity rule, it's
25 this provision that applied before 2010 when the

1 models came out. It's basically when quantitative
2 analysis methods are not available, you fall back on
3 qualitative.

4 That's always our fallback. But we'd rather
5 just come up with here's a set of criteria for when
6 models can be applied and outside this, you know, we
7 have some qualitative tests.

8 The other point made by NRC -- and the
9 intended purpose I put in quotes because that's
10 something emphasized in the NRC study. So we're just
11 picking up on it, so it's -- it's something we would
12 put a high value on.

13 Peer review -- and so this is -- we're all
14 stakeholders, but from our perspective, we want to see
15 that with federal and state communities. We haven't
16 been too involved in the model evaluation process with
17 the EPA. Like I said, it's only something in the last
18 ten years. We appreciate the invitation to come here
19 and speak to you today about this obscure and cryptic
20 topic to you-all. And so we'd like to see this
21 continue on an ongoing basis.

22 And as part of that process, as we get into
23 model evaluation studies, one of the things I've heard
24 is sometimes people have had trouble getting access to
25 all the data and information that's being used in the

1 analysis. It's like people do this data and then go
2 away, hide in their offices and whatever. They don't
3 share the data.

4 I think the process that DOTs would like to
5 see is a more transparent and open process where
6 everybody access -- has access to all the data
7 throughout the process. It's just like -- how we like
8 to work things.

9 The other point -- they had another section in
10 the NRC report on model development, talked about
11 model management and other things. But the point I'd
12 like to highlight is their call for model parsimony as
13 a design objective. And I have a quote: "Models used
14 in the regulatory process should be no more
15 complicated than is necessary to inform the regulatory
16 decisions." So that's really tying back to making
17 sure the models are designed for their intended
18 regulatory application.

19 It applies to all models with a specific role
20 for transportation, for screening models, relative to
21 refined models. So for screening for CO -- we -- we
22 never fail a CO test, or I haven't heard of a project
23 ever failing a CO test. There's such a wide margin in
24 the NAAQS, but the controlling NAAQS is nine ppm.
25 Background concentrations are under two. So it's

1 basically impossible.

2 We've done a lot of studies where we used
3 worst-case assumptions. And for the worst-case
4 assumptions, we'll assume level of serve E traffic and
5 then you compare that to the actual test conditions,
6 stop and go conditions. We compare that to the actual
7 traffic forecasts and -- you know, we can do 50
8 percent higher, 100 percent higher, 200 percent
9 higher, 300 percent higher, 500 percent higher and we
10 still pass the CO test. So we don't ever see the need
11 to do refined modeling for CO. So we need to maintain
12 a good simple screening criteria or screening model
13 for CO. And CAL3 may not be -- it might not be the
14 most accurate model, but accuracy isn't a critical
15 design objective from our perspective.

16 And I've talked about -- model parsimony just
17 sounds sounds so obscure. I've used the term "model
18 proportionality," not making things more complicated
19 or difficult than they need to be for the task at hand
20 and the concurrent need for efficiency and
21 streamlining. EPA seems to like DOS-based models.
22 The transportation side, we have models that are not
23 DOS-based, that have graphic and user interfaces that
24 are so nice. It makes it a lot easier to do modeling,
25 to do scenario management, do quality control. And --

1 and so that -- that would actually -- I'll just hit
2 that point while I'm -- for CO analysis, that was --
3 you know, having that graphical interface makes
4 things -- you get the analysis done in an afternoon,
5 basically.

6 For AERMOD, it's a bit more complicated with
7 the graphical user interface, the quality control and
8 the context-sensitive help. It just not only
9 streamlines the process but reduces errors, especially
10 for users that are maybe not experts, unlike the folks
11 in this audience.

12 All right. So going to the last question --
13 and I've already actually hit those points, so I'll be
14 really quick. Future change is that EPA's policy
15 assessment for PM_{2.5} came out a couple of weeks ago --
16 three weeks ago, I think. And they're considering
17 concentrations as low as eight micrograms. The
18 current annual primary NAAQS is 12. So they -- they
19 talk about assessing it as low as eight or as low as
20 ten. Either way, that would greatly reduce the
21 margin. Background concentrations are usually between
22 nine and ten right now.

23 That has the potential to make it just that
24 much harder for us to do PM_{2.5} analyses. This puts
25 more of a premium on the need for accuracy, which puts

1 more of a premium on the need for model evaluation and
2 then more premium on the need for tracer studies to do
3 that model evaluation. So I'm kind of rehashing,
4 getting back to our original recommendation that we
5 need to look at funding more tracer studies. That's
6 it.

7 DR. OWEN: All right. Thank you, Chris,
8 Michelle, David. So we have more than a few minutes.
9 Do we have any questions from the audience for our
10 panelists?

11 MR. BRIDGERS: Or questions from the
12 panelists.

13 DR. OWEN: Panelists, do you have questions
14 for the other panelists? Yeah, go ahead.

15 MR. VOIGT: The only question that would occur
16 to me is -- is getting feedback from you on -- on
17 doing the tracer studies. Is that something you're
18 interested in supporting and can we work together on
19 that, or what are your thoughts on that?

20 DR. OWEN: Well, I'll just restate what --
21 what I said in my opening presentation, that we have a
22 great need for databases, and -- and David reiterated
23 that as well. So we will be more than happy to help
24 the community identify and -- and design field studies
25 as appropriate for different conditions.

1 MR. PAINE: Have you considered the role of
2 computational fluid dynamics in helping to assess how
3 to deal with these complex roadway emission
4 configurations?

5 DR. HEIST: We have used CFD, particularly in
6 large eddy simulations near barrier dispersion to help
7 us in model development to try to understand the
8 phenomenon that we're trying to distill into a more
9 simple algorithm to include in R-LINE. We've done
10 that work more for building downwash than we have for
11 roadway sources, but we have done a little bit of work
12 in that area and it's very useful.

13 It's time-consuming and expensive, as so much
14 is, but, yeah, it's a useful tool

15 MR. PAINE: Well, it might be better than
16 going out in the field.

17 DR. HEIST: Different, yeah. You get a lot
18 more information but maybe less confidence in it.

19 MR. PAINE: Well, I guess one follow-up
20 question is on the vegetation barriers, you might
21 consider a parameter like velocity. Obviously, the
22 height and maybe the width of the vegetation but also
23 the -- how much open space there is as a -- as a
24 parameter to define how you would give it some sort of
25 control efficiency.

1 MS. NEUMANN: The cost effectiveness comment
2 was pretty interesting for the roadway barriers. Were
3 you considering also including -- although it's not
4 really quality related, but as a consultant, you know,
5 they tell us to do it all -- so noise effects of the
6 barriers in the cost effectiveness analysis?

7 MR. VOIGT: I think that would -- that would
8 have to be part of the -- the consideration. For
9 state DOTs, the -- it's almost a hypothetical
10 question. It's a charge question given to us. That's
11 why I mentioned it. If you really wanted an answer,
12 you'd need the cost effectiveness.

13 But I think in a lot of cases, you know, noise
14 barriers are built for different reasons than air
15 quality. Depressed roadways might be a -- you know, a
16 design consideration, not really an air quality driven
17 consideration. Hypothetically, if you want to compare
18 the two, we'd want to look at the cost effectiveness.
19 But in reality, I think what we're looking at is if
20 you're modeling a roadway that has road -- near road
21 barriers or it happens to be depressed, we want to be
22 able to account for that.

23 In some locations where the margins are very
24 small and meeting the NAAQS might be very difficult,
25 then people might think of putting up a wall or a

1 barrier or vegetation and it might be useful in that
2 more extreme limited case.

3 DR. OWEN: I do have a clarifying question as
4 well, I guess. Michelle made this comment -- but it
5 may be between Michelle and David because it relates
6 to R-LINE development -- about the urban nature of the
7 development or R-LINE. And so I'm familiar with Idaho
8 Falls, which is definitely rural. Caltrans has done
9 a million datasets with the suburban wind tunnel.

10 I presume it's set up more in the rural-type
11 setting, but I don't have those details in my
12 collection. So I was wondering if both or one of you
13 can expand a little bit on that particular aspect of
14 the R-LINE development and the urban option and what
15 we might need to look at further going forward.

16 DR. SNYDER: Okay. Yeah. So when we
17 developed R-LINE, we also used the Raleigh study. And
18 we found good performance with R-LINE in the Raleigh
19 study. I -- the year was maybe 2006 -- I can't
20 remember the year. But it was -- it's definitely an
21 urban area. And so my comment was -- was generating
22 from that in that R-LINE performed well in that case
23 even though we had developed the surface dispersion
24 curves for Idaho Falls which were rural.

25 So in my mind, it seemed like we had enough

1 meteorological parameters to also characterize the
2 urban environment without the need for the urban
3 option adjustment as it is in AERMOD.

4 DR. HEIST: I would just add that a lot of
5 times when we do the wind tunnel experiments, we don't
6 necessarily have an urban setting, but we develop the
7 boundary layer to represent suburban kind of roughness
8 length scales. And even the Raleigh study is sort of
9 urban, but it's in a suburban or approaching urban.
10 We haven't done a lot of work with urban dispersion.

11 DR. SNYDER: And I -- I would just like to add
12 that it's -- it's really difficult when you have --
13 when you look at highly urban areas, you start having
14 buildings right next to roadways. And when people
15 hear buildings and AERMOD, they think downwash, but
16 that's not the case. Your actual emissions source is
17 in between those buildings.

18 So it's really hard to have a good analogy
19 between a building downwash and having an urban area
20 where you have blocks and blocks and blocks of these
21 urban structures and you're looking at measuring
22 concentrations within that surface roughness element.
23 You're looking at making a measurement kind of below
24 that surface roughness that was developed and input as
25 an input to -- it's developed in AERMET and put into

1 AERMOD.

2 DR. VENKATRAM: We are involved in the
3 Caltrans experiment, the huge study. I think the
4 urban option might be necessary because we never found
5 stable conditions even during the late evening when
6 the sun had set and early morning. It was still
7 convective. So the urban option might make sure that
8 it is convective because of convection recorded along
9 the surface.

10 I was very surprised, actually. We never
11 found -- maybe a couple of hours at the most it was
12 stable. Otherwise, it was convective.

13 DR. OWEN: Okay. Last call on additional
14 questions.

15 All right. Well, I'd like to thank our
16 panelists.

17 MR. BRIDGERS: Thanks, Chris. You know, one
18 of the challenges with putting together a conference,
19 especially when you have expert panels, is trying to
20 figure out how much time to allocate, because you want
21 to have a generous amount of time for everybody to
22 talk, but you also don't want to make things run on
23 too tight of a ship.

24 So don't think that you're going to get a
25 break early. We're going to stay the course. We're

1 going to take about a couple of minutes here to change
2 over for the panel.

3 But in the interim, as I was walking in this
4 morning, I happened to be walking alongside a former
5 colleague -- or a colleague of mine, and he was
6 mentioning that he was at the first conference back in
7 the late '70s. And so since we have a minute or two
8 to, air quote, kill, is there anybody in the room that
9 was at the first conference back in -- I think it was
10 1977?

11 How about the second? I'm not going to go all
12 the way to the 12th. But, yeah, I was a -- I was a
13 little impressed that someone that's still with the
14 Agency was -- was there.

15 Are we set up here for our panel? Well,
16 rolling right along -- and this may allow us to have a
17 few extra minutes at the end of the day -- we will
18 transition to the building downwash panel, which may
19 or may not take a whole lot of time. But this is one
20 that I -- I really do think that there's a lot of
21 energy that's been in the community over the last
22 number of years, and so I think there's going to be a
23 lot of exciting conversations.

24 So, Clint, without further ado, I will let you
25 have the podium and I'll sit down.

1 MR. TILLERSON: Yeah, if the panelists want to
2 come on up front, I'll start into my introduction here
3 and just kind of set the stage as to why we're having
4 this panel.

5 There's been a lot of activity around building
6 downwash in the last couple of years. Just to give
7 you a little bit of background, it's -- downwash point
8 sources in AERMOD is handled by the Plume Rise
9 Model -- Enhancements Model and that algorithm in
10 AERMOD has not been updated since AERMOD was
11 promulgated in 2005.

12 And there's been a lot of research here in the
13 last five or ten years that has shown that the PRIME
14 algorithm in -- in AERMOD will both overpredict in
15 some situations and underpredict in other situations.
16 Some limitations that have been identified with the
17 PRIME algorithm as it's currently implemented are
18 buildings assumed to be rectangular and solid.

19 We talked this morning about a draft version
20 of the BPIPFRM that's been put out there to evaluate
21 some of the ALPHA options in AERMOD. That -- that
22 program takes whatever building configuration you give
23 and for each wind direction, it comes up with a single
24 solid structure that is representative, or tries to be
25 representative, for that wind direction to represent a

1 building that building downwash then is treated for.
2 It considers a single building or a tier for each wind
3 direction.

4 Turbulence is constant in the near wake or the
5 cavity and then approach roughness and stability are
6 not considered. So these are all things that have
7 been integrated into the research that has been done
8 recently and has been incorporated as ALPHA options
9 into AERMOD.

10 So as I said this morning, AERMOD Version
11 19191 includes ALPHA options that represent
12 formulation changes to the current PRIME downwash
13 algorithm. So the PRIME that has always been PRIME is
14 still there. You have to use the ALPHA flag on the
15 model ops keyword to implement or to -- to utilize any
16 of these ALPHA options.

17 And this is just basically a restatement of
18 what we had this morning. There have been two
19 research initiatives that we have collaborated on, one
20 with the Office of Research and Development, that have
21 put three ALPHA options in the -- separate individual
22 options into AERMOD, and then there have been the
23 PRIME2 subcommittee of the Air & Waste Management
24 Association that include new equations for building
25 wake turbulence and velocity deficit with special --

1 and specialized treatment for streamlined --
2 streamlined buildings.

3 So you'll see these options in AERMOD. We
4 have a white paper out there that describes these
5 options, as -- as Chris talked about this morning, and
6 then also just another mention of the BPIPPRM that's
7 out there that is really just a draft version to use
8 with these ALPHA options for evaluation.

9 And so with that, I'll invite our panelists up
10 and stay here at the mic. You'll notice a bit of a
11 difference in who we have listed here and who we have
12 in the agenda. We had Ron Petersen who had agreed to
13 come and serve as a panelist, and he has been very
14 active and led a lot of the work for the PRIME2
15 subcommittee. But he started not feeling well and was
16 afraid to travel. And so we have a fill-in. We have
17 Sergio Guerra, who is also very active with the PRIME2
18 subcommittee, who at the last minute stepped in. So
19 just wanted to point that out because -- first because
20 that's a little bit different than what you see in the
21 handouts that you have.

22 So we have Dr. Steven Perry, who is a research
23 physical scientist with US EPA's Office of Research
24 and Development in RTP. Dr. Perry received his Ph.D.
25 in meteorology from the Pennsylvania State University

1 and has over 34 years of experience development many
2 of the Agency's regulatory dispersion models,
3 including AERMOD, CTDMPLUS and AgDRIFT. He is a
4 senior scientist and co-lead at the EPA's Fluid
5 Modeling Facility, which houses the Agency's
6 meteorological wind tunnel that is used for flow and
7 dispersion studies in support of regulatory model
8 development and specialized homeland security
9 applications.

10 As I said, we have Dr. Sergio Guerra. He's a
11 lead senior and air quality engineer at GHD. He has
12 over 19 years of experience in air quality working as
13 a researcher, a regulatory -- a regulator in the state
14 of Kansas and then as an environmental consultant
15 assisting clients around the country. Sergio's
16 expertise in research regulations and consulting gives
17 him a unique insight into the interaction of the
18 theoretical and practical aspects of air quality. His
19 research has been published in peer-reviewed journals
20 and conference proceedings. Sergio holds a Ph.D. in
21 environmental engineering from the University of
22 Kansas and currently serves as the Vice-Chair of the
23 Atmospheric Modeling and Meteorology Committee, APM of
24 the Air & Waste Management Association.

25 And then we have Dr. Max Zhang is a professor

1 at Sibley School of Mechanical and Aerospace
2 Engineering at Cornell University. He received his
3 Ph.D. in mechanical engineering from UC-Davis. Dr.
4 Zhang's research areas reside on the nexus of energy
5 and environmental system engineering and currently
6 focus on dispersion modeling, passive mitigation of
7 air pollution, renewable energy planning and
8 sustainable heating solutions in cold climate. Dr.
9 Zhang has a visiting -- was a visiting scientist to
10 then US EPA Atmospheric Modeling Division in 2000 and
11 2002 through 2003.

12 And so I will ask Steve Perry to come up and
13 start us off. Sure. They can just come up as they --
14 as they talk. That'll be fine.

15 DR. PERRY: Thanks, Clint. I'm Steve Perry,
16 as he just said, EPA ORD. I'm going to start by
17 apologizing. I have no slides. So you have my
18 permission to take out your phones and look at
19 something interesting. I don't like to stand up
20 without slides. You need slides.

21 So, yes, we're talking about building downwash
22 again. Building downwash is the bad penny of
23 dispersion modeling analysis. So I've said -- I say
24 that a lot and then I said, well, maybe I should look
25 up what bad penny means. So I did. I just looked it

1 up.

2 It says that it's a thing that is unpleasant,
3 disreputable and otherwise unwanted and appears at
4 inopportune times. So, yeah, building downwash is a
5 bad penny.

6 Seriously, though, building downwash has been
7 a significant dispersion modeling issue for a lot more
8 years than I've been at this agency and I've been here
9 for 35 years.

10 In fact, one of the very first laboratory
11 experiments that was conducted at EPA's Meteorological
12 Wind Tunnel Facility back in the 1970s was to look at
13 the flow and dispersion around a cubical building with
14 a smokestack nearby. And it was that study, along
15 with several other studies in the '70s and '80s, that
16 formulated the foundation for the Agency's stack
17 height -- good engineering practice stack height
18 regulation. It was also the -- the foundation of the
19 original downwash algorithms in the old industrial
20 source complex short-term model, ISCST.

21 So, further, it was a combination of field
22 studies and wind tunnel studies that also formed the
23 basis for the original PRIME downwash algorithm. And
24 I need to make a side note right here. You can blame
25 me for a lot of things in AERMOD. I was part of that

1 group that formed that model, but I had nothing to do
2 with the PRIME model. We brought that in lock, stock
3 and barrel, as we were asked to do, and put it into
4 AERMOD, but we did not change the model at that time.

5 So somewhat driven by the adoption of the new
6 one-hour SO₂ and NO₂ standards for -- we -- people
7 started looking at the downwash algorithms again
8 because it became one of the reasons that people were
9 having trouble meeting those standards. So over the
10 past decade, we, and many other people, have performed
11 combinations of wind tunnel studies and computational
12 fluid dynamic studies to support improvements to the
13 AERMOD PRIME model, and that's what we're discussing
14 today.

15 I know it sounds like an advertisement I'm --
16 I'm doing here for wind tunnel studies, but let's face
17 it, I always do that. I have to say wind tunnel at
18 least 12 times on every talk, so you'll hear me say
19 that a few times. But, actually, it's more to the
20 point that -- that these studies are very important
21 in -- in advancing this difficult modeling issue.
22 If -- if we really -- they really do put any changes
23 that we -- they and the field studies and the
24 computational flow dynamic studies really put the
25 changes that we're proposing, I think, on very solid

1 footing scientifically.

2 So to that point, we have made a serious
3 effort in our recent -- recent laboratory studies in
4 CFT modeling to look at the downwash algorithms that
5 people have identified and we have identified as
6 inadequacies in AERMOD.

7 So with that said, let me take a stab at the
8 questions that Clint has asked. A couple of years
9 ago, while we at EPA were in the midst of examining
10 the algorithms in AERMOD. We were asked to
11 participate in a -- a collaborative effort with
12 AWMA -- the Air & Waste Management Association's
13 PRIME2 subcommittee that Sergio's going to talk about
14 here in a minute -- so that we could share our
15 research findings with them and they could share their
16 findings with us.

17 They -- they are funded by an industry group
18 and -- and we felt like this would be, obviously, an
19 appropriate thing to do, both working on similar
20 things, but it -- it would be productive and --
21 although very limited because we didn't have a whole
22 lot of time to work with on them, but we felt like it
23 would be very productive activity as far as advancing
24 and understanding their work and their -- and them
25 understanding ours. So we did do that.

1 Let me see. What was I going to say about
2 that? Anyway, I just want to point out that I feel
3 that that was a worthwhile effort and I would highly
4 recommend future efforts in other subject matter
5 relative to modeling on -- on -- when people in the
6 industry are working on an issue. I know it's
7 frustrating sometimes to -- to -- to work really hard
8 on issues, submit it to EPA and then it's -- you -- it
9 seems like it sits there. So I think having
10 communications along the way, if possible, is -- is
11 worthwhile.

12 As for the ORD ALPHA options, for some time
13 now, we've been examining the primary issue of how
14 AERMOD PRIME accounts for long narrow buildings, and
15 in particular when those buildings are not
16 perpendicular with the incident wind, as AERMOD
17 requires. So as anybody who's used the model is
18 aware, the current algorithms do require the effective
19 buildings at each angle to be perpendicular to wind.

20 However, in testing the model from our wind --
21 with our wind tunnel data, we started with a
22 perpendicular case, figuring, okay, this is one where
23 AERMOD will hit a home run. No. We found problems.

24 So rather than continue tackling the issue of
25 the long buildings at an angle, we decided to tackle

1 these issues of perpendicular buildings first. And
2 the ALPHA options that you're going to -- that you'll
3 see in the white paper, that are talked about in the
4 white paper, are actually for cases when the building
5 is perpendicular to the wind.

6 This was a surprise to us. The model actually
7 underpredicted significantly very near to the building
8 and -- in the cavity and just beyond the cavity. So
9 I'm not going to get into a bunch of details about
10 those options. They are covered in the white paper
11 and the white paper also references the journal
12 article that -- that describes them in -- in a lot of
13 detail.

14 But, basically, we focused on improving the
15 models unexpected underprediction. The ground level
16 concentrations very near the wake -- very near the
17 building or the cavity and to try to bring those PRIME
18 algorithms more in line with how AERMOD does business.

19 As I said, when we put PRIME into AERMOD back
20 in -- well, before 2005, we were sort of forced as
21 a -- as a workgroup to make sure that we didn't change
22 it. It was -- they wanted it to stay the same. So at
23 that point, we didn't make too many efforts to make it
24 blend nicely with -- with AERMOD as far as the --
25 the -- the approach that the models take. Now we have

1 to do a little bit more of that.

2 The -- the algorithms that -- the options --
3 I'm sorry -- that we are proposing are basically in
4 three areas. PRIME basically breaks the plume up into
5 three parts. It has the primary plume as deflected
6 down but doesn't get into the cavity. It's the part
7 that gets into the cavity is the second one. And then
8 what is re-emitted from the cavity is the third part
9 of the plume.

10 So what we found was there was a discontinuity
11 in dispersion between what was happening inside the
12 cavity and what was happening in the part that was
13 re-emitted from the cavity. So we fixed that
14 discontinuity. That was the first thing.

15 The second thing was AERMOD -- one of our
16 mantras in the development was that we were using
17 effective parameters. We didn't like the idea of
18 having a wind speed at the stack top or -- or -- or
19 any other parameter measured just at stack top. So we
20 used what's called effective parameters, where you
21 would look at more of a layer average.

22 Well, PRIME was using just the stack top wind
23 speed to do its calculations for the -- for the
24 primary plume. So we corrected that to use the
25 effective wind speed.

1 The third change was the original turbulence
2 algorithms in PRIME were based on the work of Jeff
3 Weil from the '90s. And in there, there was a
4 turbulence intensity limit, a maximum value, that was,
5 for some reason, was not set at what Jeff wanted it to
6 be. It was slightly different. So we did correct
7 that.

8 The fourth thing -- well, okay, let me say
9 this. When we put those into the model and compared
10 it against the wind tunnel data, it significantly
11 relieved the underprediction problem, so they really
12 did show an improvement.

13 Let's see. So we continued our research on
14 the issue of elongated buildings at -- after these
15 ALPHA options were included, and we're looking at now
16 what we originally started to look at, which was when
17 you have obtuse angles between the wind and the -- and
18 the building.

19 And our first recommendation was it's an
20 approach that was not dissimilar to one that was first
21 suggested by our colleague Roger Brode from OAQPS
22 where, instead of BPIP, the building preprocessor for
23 AERMOD -- instead of BPIP taking this angled building
24 and then saying the affected building was just the
25 size of the corners, we looked at just how long the

1 building is in the along wind direction and used that
2 dimension. That is as simple and uncomplicated as
3 what that change is.

4 But in -- in compare -- when you compare the
5 model with the other three changes and the BPIP change
6 to our wind tunnel, we found that the -- for those
7 cases, the normalized means for error was cut in half
8 for the -- for the concentration estimates on the
9 ground and the fractional bias was reduced by
10 two-thirds.

11 So that simple change in the building
12 preprocessor had that much of an effect -- well, with
13 those other changes had that much of an effect. So
14 that proposed BPIP change is just the start. We've
15 been focusing most recently on how the building wake
16 and the associated plume material can be shifted
17 laterally.

18 So when you have a building at an angle, you
19 don't get a nice uniform wake behind the building the
20 way that AERMOD would model it because it has a
21 perpendicular building. You get a distorted wake.
22 You have a tendency for plume material that gets
23 caught in the cavity to be shifted laterally different
24 than the -- the mean wind direction. And so this can
25 have a significant effect on the magnitude and

1 location of the ground level concentration, and in
2 this way, we are definitely reconsidering how the
3 model re-emits the plume from the cavity.

4 Now, this is preliminary work. We -- we are
5 just in the process of -- of testing that now and we
6 hope to have a journal article out in the next few
7 months describing that work so we can get a little
8 peer review on it.

9 So just a quick comment on the PRIME2 group.
10 I'm not going to take any of Sergio's thunder. We --
11 we are aware of the wind tunnel studies that they've
12 performed and understand that -- what their findings
13 are and we know that the model is somewhat challenged
14 in how it defines the velocity deficit and the
15 turbulence profiles in the cavity wake.

16 Now, it also -- we also realize that the model
17 doesn't do well for streamlined and porous structures.
18 Now, that -- the latter is not surprising. The model
19 was not originally designed for that, so we can't get
20 too mad at it for not handling it well. But we do
21 support their efforts to find ways to account for
22 these differences. And as with the ORD proposals,
23 we're anxious to see how they perform by the public.

24 We want the -- these model -- these changes in
25 the model to be challenged and to be used in a lot

1 of -- in a wide variety of applications because we
2 realize that when you have new formulations in any
3 model and if they involve empirical parameters or any
4 empirical nature to them, extrapolation of the
5 applications to beyond the development regime is a
6 true test of the model.

7 So the final question, where should EPA be
8 going. As Dave Heist said, I'm -- I work for EPA.
9 I'm a little uncomfortable on this, but not really.
10 If you know me, I'm not really because I'm retiring
11 soon.

12 First and foremost, as long as AERMOD is the
13 workhorse near field dispersion model for regulatory
14 applications, the Agency should continue to ensure
15 that the building downwash algorithm in that model
16 performs well. So for areas where it has already been
17 recognized as somewhat deficient, such as elongated
18 buildings or streamlined porous structures, I do
19 encourage continued effort.

20 I -- I do not consider AERMOD PRIME to be --
21 this was a question that was specifically asked that
22 do consider that the model is based on out-of-state --
23 out-of-date science. I do not believe that. I -- I
24 think that it's on firm scientific ground. But that
25 is not to say that there isn't always more science or

1 reconsideration of old science that can be -- can be
2 looked at to -- to improve the model or to expand the
3 applications that it's appropriate for, such as
4 streamlined buildings and porous buildings.

5 I also expect that Max Zhang will -- will have
6 some interesting thoughts on the subject of other
7 approaches. And I'm not -- I'm not saying that we
8 should -- we have to stay with PRIME, although I -- as
9 difficult as it can be and as hard it is to get into
10 the code and figure out how it all works, I'm --
11 I'm -- I'm not against keeping that model and making
12 it better.

13 But I think Max will -- you know, may -- will
14 have some -- probably have some ideas. And if we can
15 demonstrate better ways to do building downwash other
16 than PRIME, I would certainly be in favor of that as
17 long as whatever we do is compatible with the overall
18 AERMOD framework. I think that's important to say,
19 unless we're going to get rid of AERMOD at some time.

20 So for going forward, I'd recommend a parallel
21 path. On one side, continue looking at the AERMOD
22 PRIME or other options and improving those with these
23 ALPHA-type approaches. But at the same time, I think
24 the Agency needs to also take a hard look at how
25 AERMOD does urban dispersion in general. Not to

1 suggest that -- I almost think of building downwash as
2 a -- as a source characterization, what's happening
3 right at the source. But I think we need to somehow
4 start thinking a little more generally about urban --
5 there is an urban approach in AERMOD. I think it has
6 a lot of merits, but I think it has a long way that it
7 could -- a long way to go and it can be improved.

8 Let's see. So, really, in summary, my -- my
9 final comments would be let's keep -- let's continue
10 to improve AERMOD PRIME or some substitute, if that's
11 where we go eventually, but let's definitely go after
12 the -- the overall urban approach in AERMOD. Thank
13 you.

14 MR. TILLERSON: And while Sergio's coming up,
15 I'll just ask Max if he wants to come -- come on up
16 and have a -- have a seat so he'll be up front.

17 MR. ZHANG: I can -- I can see here.

18 MR. TILLERSON: Oh, you're right there. Okay.
19 All right.

20 MR. BRIDGERS: Does Sergio have slides?

21 MR. TILLERSON: Yes, he does. Thank you.

22 DR. GUERRA: Thank you. So, yeah, Ron really
23 wanted to be here. Of course, he didn't feel well.
24 We've been working on the presentation for some time
25 now. You know, obviously, we've been working over the

1 last three years in getting this off the ground and --
2 and up and going, so we're very happy to share some of
3 what has been going on.

4 And, again, our plan was not just to address
5 downwash, but we wanted to basically implement some
6 type of collaboration within the different groups.
7 And I think that's what we're seeing here today, where
8 we have, like, academia; we have industry; we have
9 research; we have consultants. We're all working
10 toward the same goal, so that's what helps us continue
11 to do a lot of work and continue to put long hours
12 into things that maybe are not a high priority for
13 some of our employers. But we definitely think that
14 downwash is something that, like Steve mentioned, can
15 be improved, and we would like to be part of that.
16 And the more we collaborate, the more we -- we find
17 ways to connect those links, I think the better it
18 will be.

19 So to start, I mean, the first question has to
20 do with what do we think about this collaborative
21 effort. And I think everybody understands that
22 whenever you have different groups coming from
23 different perspectives, you have this synergy that
24 allows you to do more than what you could do
25 individually as the sum and of the parts. So I think

1 that's what we have been doing with this.

2 And to understand this, like Steve mentioned,
3 we had a lot of issues with compliance. We had the
4 one-hour standards. At that point, we decided that
5 one area that the -- the -- was the only thing that
6 had been looked at. So we opened up a Pandora's box.
7 And, really, it was a black box. When Ron and I
8 started to look at it, we said, "Okay. Well, we -- we
9 know what there -- these are the problems in the model
10 and I think we'll just address those problems and then
11 everything will be nice and rosy."

12 That was not -- not the case, and -- and I
13 think, like, anyone that deals with model evaluation
14 will know that this is very difficult. You know,
15 like, we -- we're really trying to match the
16 atmosphere and -- the dispersion within the atmosphere
17 for many different types of sources into one single
18 model. So that's how the PRIME2 subcommittee came
19 about.

20 We had two main goals in mind. Of course, we
21 wanted to deal with downwash and update some of the
22 algorithms to address some of the issues, but we also
23 wanted to establish a mechanism so that we could
24 implement new science into the model.

25 Up to that point, like it was mentioned

1 earlier, like, there would be a big project done maybe
2 funded by industry. It would work independently of
3 EPA, and then all of a sudden, it'd be like this big
4 thing, this three-ring binder, "Here it is, EPA. I
5 want you to approve this." And -- and on the other
6 hand, like, EPA was also doing their own research and
7 then they were implementing those updates to the model
8 also.

9 So we wanted to basically bring in all the
10 parts together. And by doing that, we believed that
11 we could benefit not only building downwash but many
12 other updates that are needed in the model.

13 So at that point, we actually obtained
14 industry funding from the Electric Power Research
15 Institute, the American Petroleum Institute, the
16 American Forest and Paper Association and the Corn
17 Refiners Association. We then basically asked
18 everyone and said okay, "We know there are issues with
19 the model like that. We need some research money so
20 we can look into them and we can update them." So
21 these were the four funding members that funded the --
22 the project as it comes to doing the wind tunnel
23 studies, doing the evaluations and doing a lot of work
24 and that is still ongoing -- been going on.

25 We presented a lot of this at the RSL

1 conference in 2016, at least our initial findings, and
2 we published a journal article. So -- so the idea was
3 that -- in -- in the journal article that we did at
4 the AWMA, we outline all of our objects -- all the --
5 the problems that we -- we found in the model as it
6 comes to downwash.

7 And then in 2017, the EPA released the white
8 papers for -- it was a list of different projects that
9 were priority for EPA. And we were very glad to see
10 that building downwash was one of those.

11 And then as we did the wind tunnel study, we
12 made sure that we dealt with -- we parameterized all
13 the data that we collected into -- into new equations
14 that had a lot to do with -- with what was mentioned
15 earlier; like, velocity deficit and turbulence
16 intensity. Parameters are very important when it
17 comes to dispersion. And then we submitted that to a
18 journal, the *Journal of Wind Engineering*, so that it
19 could be part of this process of peer review. We
20 wanted to make sure that we provided what was
21 necessary to make this part of more or less a
22 regulatory option.

23 The enhancements of the PRIME2 project have
24 been that the wake effects decay rapidly back to
25 ambient levels on top of the building. This is

1 something that right now doesn't happen. It's the
2 same type of wake effect even up to the height of the
3 wake, which is -- is much higher than the height of
4 the building. This is incorrect.

5 And then we also found that the lateral
6 turbulence enhancement in the wake is less than the
7 vertical turbulence enhancement. Again, as we're
8 going through the research, we start to find new
9 things and we try to incorporate those into the new
10 science.

11 And then the approach turbulence and wind
12 speed are calculated at a more appropriate height, an
13 effective height that we're proposing. And also, we
14 found that wake effects for streamlined structures are
15 reduced. I guess this is something that maybe is
16 intuitive, but, again, we wanted to test it in the
17 wind tunnel. And also, we found out that wake effects
18 increased with increasing surface roughness if you
19 model the site around water, it is different than if
20 you model a site around, like, a large forest or an
21 urban area. So these were all aspects and -- and
22 variables that we put into our equations.

23 I knew that Steve wasn't going to have any
24 slides, so I did this for him.

25 DR. PERRY: Thanks, buddy.

1 DR. GUERRA: So this is what Steve was talking
2 about, the mismatch between going from the cavity to
3 the re-emitted plume. That's the fix number one, the
4 one in the top right, and -- and, yeah, that was
5 something that definitely when we looked at it there
6 was an underprediction really close to the building
7 and this definitely helps a lot.

8 The second one has to do with what wind speed
9 you use for your calculation. So the current values
10 is the stack top and the fix number two that ORD is
11 proposing is using the average of the height of the
12 plume and the height of the receptor, which is, I
13 think, more consistent with the way AERMOD works. And
14 then the third one is kind of like -- this is like a
15 small typo.

16 And then, speaking of collaboration, we had a
17 downwash summit here in this building. So we were
18 very glad to participate. The APM subcommittee on
19 PRIME2 was here. I know Bob Paine and Mark Garrison
20 were here. We basically had Office of Research and
21 Development, OAQPS and PRIME2 committee. We sat down
22 for whole day. We went through all the updates that
23 we're doing, what we're proposing, how we're
24 justifying them and we figured out a path forward.

25 And so we thought that that was very, very

1 beneficial. I think that was very useful so that
2 instead of just communicating through e-mail or
3 through phone calls, like, to kind of sit down and
4 make sure that we were on the same page, that we were
5 in agreement with what we wanted to do.

6 And then in that meeting is where this new
7 concept of ALPHA options was first introduced to us,
8 and this is something pretty novel. Of course, we
9 have the BETA options that are approved on a
10 case-by-case basis and then they graduate to be a
11 default option once it goes through rulemaking process
12 or once -- I think it would be prior to the rulemaking
13 process. But this is kind of like a pre-BETA option,
14 an alternate is put out there so that everyone can use
15 it and try to see how it performs in different --
16 different projects.

17 So I think this is where -- this is a real
18 exciting part of the project because now everyone here
19 and every user that -- of the user community can go in
20 and test these options. You can go in and say, you
21 know, I have a building with downwash. Let me try
22 these options. Now let me try Option 1 and 2; how
23 does Option 1 and 2 play with the other ones. The
24 other ones are not compatible at the effective wind
25 speed because we are proposing a different wind speed

1 than what ORD is proposing, but you can, basically,
2 otherwise mix match -- mix and match all the other
3 options.

4 So this is something that really empowered the
5 whole community so that we can come together, figure
6 out where these options work well, where they --
7 there's additional research needed and then together
8 can -- we can collaborate and try to update the model
9 in the best way possible.

10 And then in order for the ALPHA option to
11 become a BETA option, it's my understanding that we
12 have to go through the Appendix W Section 3.2.2 of
13 alternative models, and that's where we get into
14 implementation. I think that the first three steps
15 have already been accomplished, and number four is --
16 kind of has been accomplished in the case of the
17 evaluation databases that we have.

18 There are cases where it works really well and
19 there are cases where it overpredicts and -- and
20 underpredicts. So that's -- really, it's a mixed bag,
21 but I think we're working to figure out what's making
22 those differences in different databases. And I think
23 we're making very good progress on that, but -- but,
24 again, many of these aspects have already been
25 addressed. So we hope that we -- as we continue to

1 work on some of these enhancements, we'll be able to
2 graduate these ALPHA options into BETA options.

3 And then on May 3rd, 2018, there was a meeting
4 also with Petersen Research and EPA to discuss the
5 PRIME2 ALPHA options. Ron retired from CPP, so now he
6 has his own company. He never going to stop working
7 on building downwash. It's his passion. I'm very
8 fortunate to be part of that.

9 And in that meeting, it was understood that
10 these different options, like, were going to be put
11 into AERMOD so that we could -- they could be
12 evaluated by the user community.

13 And then on October 3rd, 2018, there was a
14 submittal to EPA with those switches for them to be
15 included in the next version of AERMOD.

16 And then March 26 of 2019, the PRIME2
17 committee met with EPA to talk more about the ALPHA
18 options in PRIME2. There was a small bug that was
19 addressed by EPA and then we also talked -- well, in
20 this case, Ron and -- and the -- the rest of the --
21 the group talked to EPA about what are the future
22 updates that are needed to the model.

23 So we already talked about it, the platform
24 structures. The streamline structure probably needs a
25 little bit more work just because we don't have

1 databases out there that are located next to a monitor
2 or something like that. But, again, the work has been
3 done in the wind tunnel. So we just need to verify it
4 and -- and improve it as -- as needed.

5 And then, obviously, Office of Research and
6 Development is working on this elongated building and
7 then also an update in BPIP. So I think that's going
8 to be a big, big improvement once we have a new BPIP
9 that corrects that effective length that tends to
10 overestimate this condition in the PRIME version.

11 And then August 21st is when we had the
12 release of AERMOD, and this new release has these
13 options. So, again, I encourage everyone here to try
14 them out and give your feedback to -- to EPA, to any
15 of us. We definitely want to know what -- what you
16 find; you know, like, where it works well, where it's
17 not working well or if it doesn't make any difference.
18 You know, we want to make sure we understand these
19 options as -- as best as we can.

20 So as it comes to the conclusions of this
21 first question on -- on collaboration, we think the
22 research to get this new theory was actually pretty
23 quick, 13 months. And then getting to the
24 implementation of PRIME2 ALPHA took about ten months
25 from EPA, so from time that we gave it last year until

1 the time that it was released.

2 And we thought that the interactions with EPA
3 along the way were very useful, and -- and definitely
4 we felt that they were valuable for the project.

5 As it comes to recommendations, one thing that
6 we found is that there are certain improvements that
7 can be made to the code that we provided, but the code
8 is already undergoing this process of being
9 implemented into the -- the next release. So what we
10 want to know is how can we implement these changes
11 perhaps outside of that platform so that we can start
12 to evaluate that. And I'm going to show a few slides
13 that talk about that -- that same point.

14 Yeah. So, currently, any output that you want
15 to do on something that is in here as an ALPHA option
16 would have to go again through the process. You know,
17 so, again, it took about ten months here. So I think
18 we can update that a little bit more.

19 One thought that we had is that maybe we can
20 work on these pre-ALPHA options outside of the
21 framework of EPA, maybe release them through github or
22 something like that. I know that SCICHEM uses that
23 platform. And that way, we can make these versions
24 available quicker for the user community to evaluate
25 them to find out what -- I mean, what -- what options

1 may be there.

2 So that's -- that's one thought that we had as
3 we through this process. Again, we understand that,
4 obviously, EPA's not only working on building
5 downwash, but there are many other things that are
6 happening at the same time and -- and the release
7 cannot happen as soon as everyone would like it to.
8 So I think this was a way we could expedite some of
9 that -- that improvement -- continuous improvement of
10 the model.

11 And then as it comes to the evaluation, one
12 thing that we've noticed is that even when we changed
13 from ISC to AERMOD, the evaluations were done for
14 various databases, and in some cases, the database
15 evaluations didn't look that good. And that's -- if
16 you look at the Duane Arnold Energy Center, if you
17 look at the Millstone Power Plant -- Nuclear Plant,
18 the evaluations don't look that good. So the system
19 has heavy reliance on the Alaska North Slope and also
20 on the Bowline Point databases. But even the AERMOD
21 that we're using right now has certain biases
22 depending on which database you're using.

23 So I guess we would like to understand better
24 how we can graduate these ALPHA options to BETA
25 options and eventually into a default option.

1 There -- and I know that there will be other databases
2 that will become available -- hopefully, soon -- and
3 at that point, we'll be able to test those as well.

4 Question number two has to do with what should
5 be the priorities as we address building downwash. We
6 do have a long list. As I mentioned, this is a black
7 box. Once we opened it, we found that there were
8 definitely a lot of things to be addressed. The first
9 one is BPIP, BPIPPRM. And I think one that has
10 already been addressed is this projected length that
11 is too long when you have an elongated building and
12 you have wind at an angle. It creates this extremely
13 long building.

14 So that has been addressed already by the BPIP
15 draft. So our comment would be that we should make
16 that one a regulatory option. I do not see anything
17 to preclude us from doing that. And that's a -- an
18 improvement that will help us because it basically
19 will state where the start of the building is and
20 where the end of the building is. So the wake would
21 be starting at the right location and it would decay
22 also at the right location.

23 So I think that's a -- a much-needed
24 improvement that needs to be brought into -- I'm not
25 sure if we're going to do a BETA BPIP or -- or

1 something like that, but it needs to go back into --
2 it should be available for regulatory purposes.

3 The other aspect of BPIP that needs to be
4 evaluated that -- like Steve mentioned, there was
5 never enough time to evaluate all these options. We
6 need to figure out the formulation that is inside BPIP
7 that merges buildings, that grabs certain buildings at
8 a distance of 5L and things like that. We need to
9 make sure that we're comfortable with the way that
10 that's being done. Because, again, everything that
11 you put into your modeling is going to be summarized
12 into one single square building. So we need to make
13 sure that that is done properly and that we feel
14 comfortable with the way that's being done. That --
15 that's something that, to my knowledge, hasn't been
16 done to this day.

17 We believe that the wake turbulence and wind
18 speed calculations that we developed through the
19 PRIME2 research should be made valid. So it should be
20 brought to the next step, the BETA option. And we
21 would like to, as I said, evaluate the streamline
22 equation in PRIME that we developed, and also we need
23 to spend more time evaluating the plume rise
24 predictions in PRIME.

25 And number five, the corner vortex, that's

1 something that in specific cases can actually show the
2 model underpredicting quite significantly. So this is
3 something that definitely needs to get addressed at
4 some point.

5 Upwind terrain wakes, right now you do enter
6 terrain elevations, but your terrain is not
7 considered, as opposed to -- as it comes to downwash
8 effects. You have a hill upwind of your site, that
9 hill is going to create some downwash effects.

10 And then platform and porous structures,
11 that's definitely something that we've started working
12 on the porous structures, but it's a complicated one.
13 It's a little bit like the vegetation barriers that
14 we're talking about. You have to look at porosity.
15 You have to look at different places that may be more
16 solid than others. So it's -- it's definitely a
17 challenging type of -- of project.

18 And then the rotated elongated building and
19 lateral plume shift, I think that Steve has covered.

20 Cavity plume rise issues, there's mismatch in
21 the sense that instead of having the -- what happens
22 in the cavity building is that the -- the plume is
23 kind of drawn to the middle of the building. So --
24 I'll show a figure that shows some of that, but that
25 needs to be addressed as well.

1 And then we need to figure out which wind
2 speed to use for computing concentrations.
3 Concentrations are very, very dependent on the wind
4 speed that you use.

5 And then other areas that need improvement has
6 to do, as I mentioned, with plume rise evaluation.
7 And -- and Ron has done some updates and some work on
8 this. I already showed that. It seemed like the
9 plume rise equation in PRIME is underpredicting. So
10 that definitely will create some of the issues that
11 we've seen with some of the evaluations that we've
12 done so far.

13 And then number two is the -- oh, yes. The
14 way that the code was done more than 10, 15 years ago,
15 we're not able to get the wind speed at a specific
16 receptor like we need for this -- this type of model.
17 We're doing the best with what is given within the
18 model, but to understand, the way the model is giving
19 like that, we're not able to get the wind speed of
20 each one of the locations of the -- of the receptor.
21 So that's something that -- that needs to be fixed
22 somehow. We understand that it's a major overhaul
23 effort, but that's something that will definitely
24 create more accurate results.

25 And, currently, what we're using is the

1 minimum for the final Briggs momentum plume rise or
2 the -- the wind speed that comes from PRIME, not at
3 the first receptor location used.

4 And then number three, the equation for the
5 height of the wake versus downwind distance needs to
6 be evaluated based on PRIME2 research results. This
7 is what I was talking about when I say that PRIME is
8 underestimating. This is from a wind tunnel study.
9 And the -- the -- as you can see there, the yellow
10 line is from PRIME as it comes through the -- the
11 plume rise elevation. And then -- but then you see
12 that the plume is actually higher than that. So this
13 is something that definitely needs to be addressed and
14 this would create higher concentrations than normal.

15 Here is what we're talking about the wind
16 speed. So the wind speed is used to compute
17 concentrations. Currently, PRIME uses the height of
18 the stack. Option 2 from ORD is using the average
19 from the height of the plume and the height of the
20 receptor. What we're using is the minimum from the
21 final momentum plume rise and the first plume rise
22 variable comes out of PRIME. So, again, depending on
23 which one of those wind speeds you use, you're going
24 to get a very different answer as it comes to
25 concentrations.

1 This is a study that Ron did. Let me see. So
2 we have the -- the green line is PRIME2 as it is right
3 now in the code. And then the blue line is current
4 AERMOD with the current PRIME. So you can see that it
5 can underpredict. And this is a bowline point
6 receptor one. It's underpredicting, but it's still
7 within the two time underprediction. So it's still an
8 unbiased model, at least when you calculate the robust
9 highest concentration with the 25 highest values.

10 But you can see that here it does go outside
11 of that region of the overprediction of two times.
12 And, historically, you always worry about maximum
13 concentrations for compliance with the NAAQS. This
14 hump over here is quite significant because it's
15 showing that the model is overpredicting at those
16 locations at those receptors. And if you're doing a
17 SIL analysis or if you're doing a culpability
18 analysis, this could be quite significant as well.

19 So instead of using the minimum from the final
20 momentum plume rise and the plume rise from PRIME, if
21 you use the maximum from those two, you get the --
22 what is it -- the red line, which shows a lot more
23 agreement as it comes to concentrations. It's more --
24 it's closer to the one-to-one line of a perfect model.
25 So this is one preliminary analysis I guess that was

1 done on bowline point. The same analysis is done also
2 for the Receptor 3 and we see the same thing.

3 With this difference in using the maximum as
4 opposed to the minimum plume rise, the final plume
5 rise and the plume rise in PRIME, we're able to get
6 better agreement. In this case, there was highest
7 concentrations that are pretty close to one in all
8 cases because they all converge here at the maximum
9 concentrations. When you look at the rest of the
10 distribution, this update does help it have better
11 performance. Again, more work needs to be done, but
12 this is how we started it.

13 This is a slide from Bob Paine where you have
14 a stack in the middle of a building and you have, for
15 example, here 2800 micrograms. Well, something
16 interesting happens here. The wind is coming from
17 left to right. You put the stack at the end of the
18 building, well, your maximum is still inside the
19 cavity, 2802. It should probably be downwind from the
20 stack.

21 And then if you move it away, it still kind of
22 pulls in -- and, again, we're talking just in the
23 cavity region. It still had to show the maximum
24 concentration inside the cavity region, but it's at a
25 wrong location. This is very relevant if you have two

1 stacks at the end of a building because, basically,
2 both plumes are going to overlap over each other. So
3 you're going to have significantly higher
4 concentrations than what you would expect otherwise.

5 The last question has to do with how much
6 energy should go into maintaining the PRIME algorithm
7 or replacing it altogether, and also any insights into
8 short-term and long-term.

9 Well, I -- we're in complete agreement with
10 what Steve mentioned. We think that there's a very
11 solid basis right now in AERMOD and in PRIME. There
12 are definitely some updates that need to be made, but
13 I think that we need to continue to -- to identify the
14 issues and go after them and -- and fix them that way.
15 But we don't think that PRIME should be done away with
16 altogether.

17 I think that would be wishful thinking, but I
18 don't know that there will be enough research money
19 and that there will be enough people at EPA that will
20 have the time, I guess, to work on that. So I think
21 being a little bit realistic, we think that PRIME
22 is -- is good enough as it is and as we work on
23 improving certain aspects of it, we'll get it to work
24 even better.

25 So here's one thing that over the period that

1 we're talking about. You know, the current PRIME
2 theory, as soon as that -- the -- the U -- the delta-U
3 is the same up to the height of the wake and the same
4 thing for the sigma-W.

5 As far as we could tell, we could not find how
6 this was justified, but, basically, this means that
7 the downwash are all the same in this region. What we
8 find in the wind tunnel is that once you get above the
9 height of a building, these effects start to diminish
10 and we see something like this. The turbulence
11 intensity -- when it goes back to one, it means that
12 it's the same as upwind but you don't have a building.

13 So, yeah, when -- when you have a building, I
14 mean, there's definitely an effect of turbulence
15 intensity, but that effect is exponentially lower as
16 you get higher into the building. And that's how --
17 this is quite significant because, again, right now,
18 AERMOD would assign turbulence intensity up to the
19 height of the wake when, in reality, that's not
20 something that -- that is justifiable.

21 So this is my last slide. So how can we
22 expedite research? I think what we've been doing is
23 we've been trying to find sponsors and research groups
24 and we -- we've been communicating as much as we can
25 and we can only benefit from open communications with

1 the different groups that are working on building
2 downwash.

3 So a lot of work has been done thanks to the
4 industry sponsors, and we thank them a lot. One --
5 the idea that we're floating is perhaps a nonprofit
6 organization with crowd funding. So that way, like,
7 you can not only test them out, but everyone could
8 also contribute to -- to make all these changes. And
9 that's something that -- that we're evaluating as
10 well.

11 I think Ron already got some commitment of
12 15,000 to get started on it. But, basically, what we
13 want is to make sure that any research that we're
14 doing is available to everyone and that we're able to
15 work on things on a continuous basis instead of kind
16 of like this stop and go. And the advantage of doing
17 this is also that we won't have to wait, you know,
18 because already certain groups are recent, but then
19 there will be some limitations as it comes to the
20 availability of the data. You know, so I believe that
21 that's slowing down a little bit the progress that we
22 could be making if otherwise like that we could just
23 make it open to everyone; like, hey, this is what
24 we're getting. These are the improvements we're
25 making and then someone else can come and kind of help

1 out with -- or identify something and ask that that
2 need to be addressed.

3 But, again, the main thing that has come from
4 the PRIME2 subcommittee has been the collaboration
5 between all these different groups. We're very
6 thankful to the openness of EPA in doing this. It has
7 been very key in making this happen and we look
8 forward to continuous work and collaboration together.

9 And, honestly, as I said -- as I said earlier,
10 like, everyone here and every user of AERMOD can be
11 part of this now with the ALPHA options. So as you
12 use them, make sure to let us know how they work for
13 you. Thank you.

14 DR. ZHANG: I want to guarantee you this is
15 your last downwash talk of the day.

16 So I want to acknowledge a few folk here. So
17 some students, also Margaret at the New York State
18 Department of Environmental Conservation. I don't
19 think we have anybody from New York coming except me.
20 They already asked me to -- to report back to the folk,
21 you know, back home.

22 Also folk from NYSERDA and NESCAUM, you know,
23 have very -- you know, valuable discussion here. Also,
24 you know, we want to thank, you know, Steve -- you
25 know, Steve Perry and David Heist. We had a -- this

1 conversation for about probably a year now. Also, we
2 had a call with, I guess, Chris and, you know, a few
3 folks to pitch an idea.

4 Also Wei Tang -- I don't know if she's here,
5 but, you know, she's, like, a -- providing the
6 computational support for Steve group. We have a --
7 you know, she has, you know, been very generous in
8 sharing data, so -- and sort of funny to report --
9 funny to work.

10 So the first question is -- it's quite long,
11 right? My first reaction is, you know, good for you.
12 I'm not part of it, you know. And -- but I do
13 acknowledge this -- you know, but, again, I thank again
14 for EPA support; you know, the - you know, all the help
15 and data sharing. I really - I think I wouldn't be
16 here without that. And also I commend, you know, AWMA
17 and EPA collaboration on this. And, you know, I -- I
18 always learn so much about, you know, downwash by, you
19 know, standing there for, like, you know, half hour.

20 And -- so but I -- you know, I'm -- I -- I
21 wish, right, so, you know, this -- this can be more
22 open process; you know, maybe, like, people like me and
23 my group can be part of that conversation. You know, I
24 made so many assignments already.

25 Anyway, so, but I think a -- what I think we do

1 agree a collaborative approach definitely is the way to
2 go.

3 Okay. Now, the second question here -- I like
4 to show some visual. You know, I think here it is --
5 you know, look, so I learned so much already, right?
6 So, you know -- you know, Steve told me -- you know,
7 taught me about bad penny. That's another cultural --
8 you know, cultural reference - that's another cultural
9 reference, you know, Max Zhang was not aware of, you
10 know, before this talk. But I do want to emphasize
11 it's a bad penny, but it's a very important, very
12 critical bad penny.

13 So -- and so those are, you know -- those photo
14 taken for the project in New York. You know, I -- you
15 know, I came from very cold -- cold area. So, you
16 know, a lot of emission sources in the Northeast in
17 general are associated with heating. So -- and so,
18 actually, this a -- you know, you can recognize
19 building -- the type building. It's actually a school.
20 For -- for some reason, they received the federal
21 funding to add a biomass boiler. And this is -- this
22 is original stack.

23 So the state actually, you know, helped them
24 to -- you know, this is a -- you know, someone had
25 to -- you know, to -- you know, to rise up early to

1 take the picture, right? But those -- you know, this
2 is a classical downwash condition and temperature
3 inversion. And, you know, the State of New York
4 actually gave them additional funding to -- to increase
5 the height, the height of the property here. This is
6 not a -- it's not a boiler. This is actually a biomass
7 combined heat and power on a campus. So, you know,
8 surrounding are very tall buildings, right?

9 So -- and this is -- this is the stack of
10 the -- this small source and this is the main air
11 intake. So -- but again, it's a bad penny, but I think
12 it's really a critical bad penny, right? So it doesn't
13 make our life more meaningful to improve -- you know,
14 improve the downwash algorithm.

15 So this actually one of the -- this from my
16 town. This is from my town. Actually, I took this
17 photo. You know, this is in downtown Ithaca. This --
18 you know, for that particular section of the town, you
19 know, those two houses are right next to each other,
20 right? So this is the wood stove stack of one neighbor
21 and, you know, the plume -- and, actually, I took a
22 video. So, you know, this is what's coming out from
23 the stack, right? So that can -- almost can head
24 directly to other neighbor's window. So that's not
25 right.

1 Once again, this is very important topic,
2 right, especially for the cold climate. So if history
3 repeat herself, as it always does, I can run out of
4 time, right? So I just want to get my point out,
5 right? So, you know - you know, when the time come,
6 you can -- so Clint is just going to remove me from the
7 podium.

8 So I -- I want to talk about three -- basically
9 three different approaches. We have spent a lot of
10 time on BPIP PRIME. I'm not going to repeat any more.
11 I do have a question, I think. Bob Paine mentioned
12 about computational fluid dynamic approach. I do like
13 this approach, but I do acknowledge the limitation.
14 And, you know, my group have been working on CFD
15 approach for -- for many year now. I feel more
16 comfortable about our capability, but at - at same
17 time, I do acknowledge it computationally expensive.

18 Actually, I think the biggest -- biggest
19 problem I see for CFD approaches is really -- are
20 difficult to standardize, right? So if, you know,
21 Steve run for one -- you know, same condition, if Steve
22 run the CFD and I run CFD, we got, you know, different
23 results, right? So, because, you know, how we do the
24 mesh, how we run two different parameters, you know,
25 subject to your professional discretion.

1 So and I think that will be -- you know, what I
2 see, that's the biggest obstacle for the CFD approach
3 to be a regulatory model. And -- but at same time,
4 right, so I do see there's, you know, a positive side
5 for the CFD approach. You know, for example, you know,
6 Steve group, you know, have -- Wei have been, you know,
7 working for -- with Steve and David for -- for many
8 year running downwash, you know, CFD simulations. My
9 group was also working on it. We do believe that well-
10 configured CFD models can produce pretty good results.

11 And, you know, once you sort of -- you vary the
12 model and you get a reasonable result, then basically,
13 the -- the rest become easier, right, and do -- you
14 know, how, you know, change the configuration, you
15 know, there are many things you can do with the well-
16 configured configure model.

17 But my -- but my -- my real point here is --
18 last one, right? I want to present an alternative,
19 right? I have a slightly different opinion on the
20 third question. So -- so the whole idea here is, you
21 know, we want to take advantage of CFD simulation,
22 right? So -- and so it's -- there's a -- we want to
23 propose a parameterization -- an alternative
24 parameterization approach. We call it a Mixture model.
25 I'll tell you what Mixture model is, but the idea here,

1 it can be assisted by CFD simulation.

2 And also, another point here, we not just have
3 downwash. You know, when you have a -- especially when
4 you have, you know, oblique wind condition, not
5 perpendicular to a building, you -- you actually have
6 what we call, you know, sidewash, right? You know,
7 what I'm saying, you can't really find this term in the
8 dictionary or something. We -- I think we probably --
9 you know, I'll show you.

10 I think if you want to capture the oblique wind
11 condition, you really have to capture both the downwash
12 and sidewash in order to do that. And so I'll show
13 you.

14 And by doing that, we think we can -- you know,
15 this is actually a proof of concept, right? So I
16 think we can address the discontinuity in the
17 transition zone. I think, you know, Steve mentioned
18 that, but also I think we can handle the oblique wind
19 conditions problem, so -- and potentially more,
20 especially -- it's a CFD assisted approach, right?

21 So if you -- the promise here is you can run a
22 whole lot of the CFD simulations on different
23 configurations while evaluating so you can make your
24 parameterization much more robust in the future. You
25 know, of course, for this occasion, it's -- you know, I

1 present a proof of concept.

2 So I will -- you know, so my student, Bo, who
3 did all the work, somehow got a photo from Steve and
4 David at some point. I don't even remember now. So
5 this is a -- you know, for our current study, it was
6 based on this particular experiment that, you know,
7 Steve and David group have been -- collected and
8 generously shared with us, right?

9 So, you know, it's more or less representing a
10 low buoyant -- you know, neutrally buoyant and low
11 momentum, low stack conditions, right? So this is the
12 building. This is the source, right, more or less a
13 cartoon version. You know, because when I first saw
14 it, I said that's really good, right; very relevant to
15 the environmental problem I'm concerned about, you
16 know, those low - you know, small source for heating
17 purposes, right? You want to extract heat from your
18 plume, right? So that's - the buoyancy is not
19 particularly strong, right?

20 And, you know, working -- you know, we --
21 actually, we came out with this idea -- this approach
22 at the same time; you know, independently embedded
23 large eddy simulations, right? So, you know, with --
24 you know, with Steve and David group. But the idea
25 here is there's a -- you know, two type of the

1 simulation technique. One called large eddy simulation
2 is much more computationally intensive, but it can
3 resolve the flow pattern better. The other is, you
4 know, Reynolds-averaged Navier Stokes. So the RANS
5 model is slightly more efficient, but it's not as
6 accurate. So you basically want to marry both, right?

7 So you have -- near source, you have the LES
8 simulation and you transition to the RANS. So, you
9 know, lot of -- because once again, it's CFD-assisted
10 approach, so this is the basis of our simulation.

11 So I -- I don't have a lot of slides to show
12 the graph. We are having a paper under review right
13 now, but, in general, I think we get a embedded --
14 embedded LES, right? So we've got a reasonable good,
15 you know, adequate, you know, agreement with the wind
16 tunnel measurement.

17 Okay. Once again, we go back to our reference
18 point. So I think, you know, this is really my -- this
19 really is the story of my life in some way. We decided
20 to -- you know, when I first approached the problem, I
21 thought it would be a quick and easy project. And the
22 first approach, you know, we try to understand how
23 PRIME works, right?

24 So my understanding is PRIME is - PRIME, you
25 know, was based on the wind tunnel -- wind tunnel

1 experiments, right? So -- and they have two pieces.
2 You know, the first is to parameterize the flow field
3 and then -- then try to -- based on the flow field,
4 then parameterize the concentration field. If you look
5 at the flow field parameterization, right, so here is
6 the -- you know, this is the advantage of having a good
7 CFD simulation. You can see a lot of stuff, right.

8 So we see here a very nice vortex here. And
9 this is PRIME's -- this is an envelope -- so-called
10 envelope. It's -- actually, it's 3D envelope of the
11 PRIME parameterized results, right?

12 I can see here it's -- it's amazing. You know,
13 I was -- to be honest, I was surprised when I first see
14 this, right? So I expect PRIME even for this condition
15 to perform bad. But, actually, as you can see here,
16 the PRIME performance really -- I was really surprised.

17 But once we go to the oblique wind, right -- so
18 oblique wind means, once again, the wind is not
19 perpendicular to the -- to the building. Now you can
20 see the flow pattern is much more different now, right?
21 So -- and then, you know, I think both Steve and
22 Sergio, I think, mentioned that what the PRIME approach
23 is that the BPIP will give a projected building. So
24 based on -- basically, this is a -- this is real
25 building and this is the projected building, right?

1 And then you basically just run PRIME on the projected
2 building, right?

3 And then -- and then this is the -- the
4 envelope of the cavity zone, right, predicted by PRIME?
5 And you can see there -- you know, that doesn't work
6 well, right?

7 And the ORD approach -- you know, approach
8 here, my understanding here is -- let me go back. Why
9 is not showing here?

10 All right. I will come back. I have another
11 slide and will come back later. So we can shorten this
12 and kind of narrow this projected building, right? But
13 still, once again, wind is still perpendicular. So
14 this is a beautiful conversation. I will go back to
15 this point, right?

16 So that approach, still the wind -- your
17 projected building is still perpendicular to the wind.
18 And then your cavity zone is still -- you know, is
19 still more like this, right? Going to be slightly
20 different but is shaped, more or less, like this.

21 Okay. You know, moving to the concentration
22 field, like -- once again, it's been repeated many
23 times. There's a -- three components. There's PRIME
24 source; there's cavity source; and then there's
25 re-emitted sources, right? So there's -- for any - for

1 anywhere in the -- you know, in downwind, the
2 concentration is a combination of -- of those -- of
3 those three, right, you know, with different
4 contributions.

5 So then, once again, we can visualize this. So
6 here, you know, wind is -- this is one additional
7 concentration field proposed from oblique wind. So
8 the -- I think Steve mentioned this, you know,
9 discontinuity in the transition zone. Basically,
10 between this cavity room here -- basically, you know,
11 between D and DPRIME, right? So PRIME -- PRIME, PRIME.
12 So PRIME formulate a linear -- linear combination of
13 those two based on parameter lamda.

14 So -- and then what's the result here? I want
15 you to focus on this transition zone here. And then,
16 you know -- okay. So once again, the circle here is
17 the wind tunnel, red is PRIME and this line is the --
18 our CFD simulation here.

19 So I can see here in transition zone, PRIME
20 will give you not just discontinuity but also I'll say
21 unphysical, right? So the trend is wrong, right? The
22 trend is -- instead of going up, it's going down,
23 right. So -- for both conditions; both, you know,
24 conditions. So it's not just discontinuity but also
25 unphysical trends.

1 Move to the oblique winds. So then, we
2 basically, you know, try to visualize this important --
3 you know, this is a -- the building, right,
4 perpendicular wind. The same building, if you orient
5 it to 45 degree with wind, this -- you know, if you
6 trust the CFD model, this would be the concentration
7 field, right?

8 And this one -- we say this one -- this is what
9 the PRIME would be, right, because PRIME try to project
10 into a -- you know, try to create a projected building
11 and -- and is then treated as a perpendicular cased,
12 right? I can see here these two, right?

13 So this is the PRIME approach. This is, more
14 or less, where we're at. But even more important, I
15 think, if you look at the ground level concentration --
16 actually, the high concentration, comparing those
17 different cases.

18 High concentration actually happens at the
19 oblique wind conditions, right, you know, compared to
20 the perpendicular and oblique. The oblique wind gives
21 you the highest concentration. Peak concentration
22 actually occur during the oblique wind. That's my --
23 my point, right?

24 So I think oblique wind is the important
25 characteristics that we have to captured in order to

1 make -- to capture the highest peak; you know, peak
2 concentration.

3 So back to question two, right? So I know this
4 is the good part for being the last speaker on the
5 panel. So I agree with everything Dr. Guerra said. So
6 my answer is going to be short, right? So -- but I do
7 want to add, you know, I do, you know, hope that EPA,
8 right, in the PRIME development can focus on, you know,
9 among many other things -- you know, I learned so much,
10 you know, this morning, even though I had no idea about
11 the overwater -- you know, dispersion also has downwash
12 issues. So it's good to be here.

13 But I do want to emphasize that, you know, one
14 is distributed generation, right? So I think that, you
15 know, in many part of the country, there's a movement
16 toward a more distributed resources, right, compared to
17 the central power plant, right? So I do see there's a
18 need for the PRIME. You know, I think I gave some
19 examples at the beginning, right? So also, there's,
20 you know -- you know, like, a heating-related emissions
21 with short stacks. Those are conditions.

22 I think, you know, the PRIME has a -- you know,
23 the downwash algorithm has a lot of audiences for those
24 type of sources. I think it's important.

25 In terms of the physical mechanisms, you know,

1 I -- you know, I'm not really self-promoting here, but
2 I do think, you know, resolving this discontinuity and
3 oblique wind is important, right? So, you know,
4 hopefully, you know, through my example, you can agree
5 with me.

6 For the third question, this is my version, my
7 minority opinion. I do believe that PRIME -- even
8 though I do agree there's a pretty solid theoretical
9 background for PRIME, I do -- you know, but, you know,
10 for the perpendicular wind case, I was really surprised
11 by the performance for that -- for that particular
12 condition. However, my theory so far here -- I have
13 not been convinced, based on PRIME's current
14 formulation, it can really capture the oblique wind
15 well.

16 I just see -- you know, I tried. I'll show
17 some of my effort. I tried, but I just, like, couldn't
18 really make it work. So that's why I think if you --
19 if you -- you know, if you are with me that oblique
20 wind conditions are important, then I don't think
21 PRIME -- I think PRIME had some fundamental problems.
22 That's -- you know, that's me; you know, what do I see
23 here as a cautious man. I think we should have -- you
24 know, have open door to -- to alternative approaches to
25 the problem.

1 And once again, you know, I -- I mentioned when
2 I first work on this project, I thought it's going to
3 be a quick, easy project, right? So -- because I
4 thought, well -- you know, I think -- I don't know if I
5 can do the -- you know, set up the simulation well and
6 then we can visualize this, right?

7 So while the oblique wind conditions -- well,
8 even though PRIME didn't -- couldn't capture it well,
9 but, however, we can visualize -- maybe we can develop
10 some formulas to capture this shape and then, you know,
11 send it back to the PRIME and then PRIME can work well,
12 right?

13 So, you know, we spent lot of time seeing how
14 can parameterize the cavity room like this, right? So
15 we tried many different ways. Just, you know, at some
16 point, said, "Well, we give up. Maybe we should try
17 something different," right? So that's -- you know, I
18 did try, you know.

19 Actually, this is different from my original
20 proposal, actually, to the project. But, you know, we
21 do see there is value, right, for the CFD simulations.
22 Once again, I think I was really -- you know, we really
23 want to spend our time, you know, just looking at
24 exactly what is the plume shape, the vortex, you know.

25 So by looking at this -- so that's what gave

1 rise to the idea of you have this downwash -- downwash,
2 right? So we'll call it downwash effect. But at the
3 same time, you can tell if there's -- actually, there's
4 another sidewash, right, because of the oblique wind
5 condition.

6 So that's -- in order to -- so this is for the
7 velocity, so you can see the vortex. And then in terms
8 of concentration here, we feel like there's almost,
9 like, a combination of a main plume and a shift -- a
10 shift -- a shifted plume, right? So -- so that's what
11 gave us some idea to pursue this approach, called a
12 mixture, right; a mixture of different plumes, right?

13 So, you know, here we're trying to make it
14 simple, two plumes -- two Gaussian plumes. But at the
15 same time -- you know, at the same time, you know, this
16 can be -- lead to more plumes. We try to keep the
17 model as simple as possible. So this really was, you
18 know, sort of the motivation for our model.

19 Anyway, I -- so the idea here is - high-level
20 idea is it going to be a mixture of two plumes, right?
21 So both are Gaussian plumes and we simplified the
22 component even more to reduce number of parameters and
23 then we -- based on the CFD study, we -- I'll skip here
24 result and conclusion here. And we tried to simplify
25 this and test it on the -- on the -- on the data we

1 have.

2 So speaking of the training and testing, right
3 -- so training is solely based on the CFD simulations.
4 So we didn't touch anything about the wind tunnel data,
5 wind tunnel -- we try to see, you know, what -- try to
6 do this way just to see whether it work, right?

7 So the training, it -- you know, I can see here
8 the CFD study -- you know, CFD simulation doesn't match
9 perfectly, but -- so -- but as in training -- internal
10 parameterization is solely based on the CFD study --
11 CFD results. But when we test it, we test on the wind
12 tunnel, right? So also test conditions and training
13 are different, right? So we try to figure out, you
14 know, some more rigorous way. You know, you can argue
15 this is not as rigorous as you would hope for, but we
16 try to, you know, do what we can here.

17 So some -- just some quick results here, so for
18 the longitudinal -- longitudinal means along the x
19 direction, right? So here -- basically, what I see
20 here is the PRIME gives you this discontinuity, right,
21 in transition zone and -- and this is the wind tunnel
22 data. This is the mixture -- mixture results, right?
23 So, of course, it's not one-to-one observation, as
24 every modeler hopes to see, but as to how we avoid it,
25 we sort of resolve this, you know, discontinuity

1 issues. Also, unphysical trends, right? So, you know,
2 the trend become more physical.

3 On the vertical -- on the -- on the lateral,
4 basically, you're seeing whether it can capture this,
5 you know, lateral shift, right, because of the oblique
6 wind, right? So -- you know, so this is my point,
7 right?

8 So as long as you -- whatever you do, as long
9 as you still, you know, use BPIP and make your wind
10 perpendicular to the building, you will never capture
11 the lateral shift, right? So how would you if the wind
12 is still perpendicular to the building?

13 But I think this mixture approach -- you know,
14 sometimes it's subtle and sometimes it's more obvious.
15 For example, we do capture the shift in the lateral
16 direction, which is encouraging. And on the vertical
17 distribution, we -- I think we -- we sort of more or
18 less capture the -- the peak concentration, right,
19 because it's an elevated source. The peak
20 concentration is elevated, so we capture, you know,
21 more as this Mixture model approach captures the peak
22 concentration.

23 You know, in -- in general, we basically
24 capture the main plume trajectory, right, the plume
25 centerline so that we can capture the plume peak

1 concentration.

2 So this is -- you know, put everything
3 together, you know, we do see improvement, right, in
4 terms of comparing to PRIME. I know we -- I didn't
5 show here, but, you know -- you know, because I think
6 that's a -- you know, more useful for the offline
7 conversation, but we do compare -- I do receive the
8 PRIME2 and the PRIME ORD from EPA. We do test it. I
9 think it -- you know, we see improvement, but not as
10 significant improvement as we -- we hope for.

11 So I think this will -- so that's why I still
12 think this is still a worthy approach at this time.
13 So, I mean, that's my -- that's my last slide,
14 basically saying we see a good promise, right? And,
15 you know, good promise, I think, in terms of two -- two
16 aspects.

17 One is I think by this downwash/sidewash
18 perspective or angle, right -- so I think we can -- we
19 are able to make this model formulation more rigorous
20 to capture the oblique wind condition. The second
21 aspect here is this is also a CFD-assisted approach,
22 right? So I think even though we want to test on the
23 wind tunnel condition here, but at same time, we are
24 working on -- you know, actually, right now, we're
25 working on the Millstone dataset.

1 But the promise here is, you know, a
2 well-configured CFD simulation will allow you to have
3 many different configurations and make your
4 parameterization -- parameterization much more
5 vigorous, right?

6 Once again, as a proof of concept, we do
7 acknowledge our model has limitations, right, but at
8 same time, I do think this approach can allow us to do
9 better if we have more time and resources in the
10 future.

11 Thank you. Am I out of time or --

12 MR. TILLERSON: You're good.

13 DR. ZHANG: All right. Thank you.

14 MR. TILLERSON: So we do have some time for
15 questions. If anybody has any clarifying questions
16 they'd like to ask the panel or if the panelists have
17 questions for the other panelists, we'll take them now.

18 MR. PAINE: A question on CFD, could a complex
19 set of buildings or a oblique angle approach be done
20 with CFD and then you could impose a perpendicular
21 approach to mimic the same -- you know, the
22 characteristics and then put that perpendicular
23 building into PRIME? Is that -- is it possible to do
24 that, keep PRIME but -- but putting CFD on the picture?

25 DR. ZHANG: I think that question directs at

1 me.

2 MR. PAINE: Oh, you -- why not?

3 DR. ZHANG: I think short answer is we should
4 talk. I haven't -- you know, like I said, I tried, but
5 I just haven't been very -- you know, we spent a lot of
6 time but haven't been very successful, I mean, how we
7 do that. You know, because that's our first -- that's
8 our first objective, is if we can keep the PRIME just
9 somehow parameterized better, that would be the best
10 approach so that we -- you know, we tried, but it
11 just -- the shape is too complex to be reasonably
12 captured in a -- you can use machinery model to have a
13 black box model to capture that, but I don't think
14 that's good for a regulatory model. So -- but I do
15 want to -- want to hear more about your opinion. I do
16 appreciate it.

17 DR. GUERRA: And I have something to say to
18 that. I think that we can bring the CFD, but the
19 problem is going to be how do we deal with that side --
20 sidewash, you know, because that hasn't been
21 parameterized yet. So I think that maybe the work that
22 Steve and Dave Heist are doing, you know, like, that --
23 that might help us in that, to marry the -- the two
24 concepts. You know, CFD with the current.

25 You could put some in a little bit better, you

1 know, but we still have to deal with this other
2 parameterization that hasn't been addressed yet.

3 DR. PERRY: Bob, in terms of the multiple
4 buildings, I think it's a little more difficult. In
5 essence, you're asking the question can we use CFD the
6 way we use the wind tunnel to come up with -- what's
7 the term I want to --

8 MR. PAINE: Equivalent building.

9 DR. PERRY: Equivalent building as a direct if
10 you had multiple buildings. But in the case of the,
11 say, elongated building that's rotated, the oblique
12 winds, we obviously believe you can make a difference
13 there and stay within the formula of PRIME because
14 that's what we're doing.

15 That's what we've been doing for the last year
16 or so. I'm not saying that we're going to have some
17 magical result when we're finished that will -- that
18 will cover every scenario, because I do believe that
19 it's very sensitive to where the source is on the
20 building, especially when you rotate the building.

21 But -- but we are working on a parameterization
22 approach, Max, that -- that we hope will -- will be
23 successful in -- in at least -- and I'm not adopting
24 the term "sidewash." I just want to say that, although
25 I --

1 MR. ZHANG: You know, feel free to.

2 DR. PERRY: You take bad penny and I'll take
3 sidewash. But it, in essence, is primarily looking at
4 how the material that gets down in the cavity on a
5 rotated building gets laterally or sidewashed out.

6 And we actually found the same thing that Max
7 found in looking at our CFD and wind tunnel work, sort
8 of a -- a double Gaussian kind of plume. It just looks
9 like you have the -- the primary plume is coming down
10 without being deflected so much laterally and stuff in
11 the cavity is deflected. And so you get kind of this
12 double plume approach.

13 And if you -- you then just have to figure out
14 where that other plume is going. And so we are working
15 on that approach. Hopefully, we'll be successful. So
16 I would say some hope on -- on the single building
17 approach.

18 MR. TILLERSON: Any others?

19 MR. PORTER: I have -- for the Mixture model
20 that you presented, was that evaluated or the
21 comparisons at different time scales in the course of
22 an hour, three hours, 24-hour averaging, that type of
23 thing? I imagine that the shape of the sidewash versus
24 just the regular downwash would -- would fluctuate and
25 vary with time?

1 DR. ZHANG: So we're not -- we're not there
2 yet, but we are now looking on the -- on the Millstone
3 dataset, you know, hopefully to address the question
4 just raised here. But, you know, so far, we've just
5 looked at the wind tunnel dataset that's, you know,
6 Steve and Dave have collected, you know, in 2014.

7 By the way, our -- you know, our goal here is,
8 yes, I do -- or, you know, we -- you know, I do believe
9 in order to make this work, hopefully at some point an
10 ALPHA or BETA version, if possible, we do need to go
11 through this -- you know, test more field datasets.
12 But I think -- but the approach can be very similar.
13 We're still going to run CFD simulations and then see
14 how we can parameterize the model, you know, with help
15 from the CFD. I'm -- you know, I'm optimistic about
16 this approach and hopefully will let you know.

17 MR. SADAR: You said this is going to be
18 published. It looks like it's under review. Can you
19 tell us where it's going to be published, first
20 question? Maybe you can't.

21 But in the paper, your current work, are you
22 considering other than the neutral -- or, I'm sorry,
23 other than the, yeah, neutral conditions, the unstable?

24 DR. ZHANG: First question is I would -- I
25 would like to have your card, when it published, yes.

1 The second question is -- that's another good
2 question. You know, once again, you know, so far, we
3 positioned the first paper as a proof of concept,
4 right? So we only use wind tunnel, which means it's
5 neutral condition.

6 So -- but, you know, my -- the same answer here
7 is I -- I don't -- I don't see that as a limitation.
8 And, you know, I -- I do see the model can be extended
9 to other, you know -- other stability conditions,
10 right? So we -- we're just not there yet because, you
11 know, we're not really inviting the plume -- the
12 Gaussian plume equation. We're just saying a different
13 way to formulate -- you know, use a Mixture model to --
14 to capture the, you know, downwash and sidewash.

15 So, you know, a lot of what's -- we already
16 learned from -- you know, from the -- how the stability
17 affects dispersion model can be done -- you know, can
18 be used in this formulation. I'm not -- we're not
19 inviting a disperse model. We are just seeing, like, a
20 different way to use it at this point.

21 DR. VENKATRAM: Steve and others have been
22 working on this. I think Hoster (phonetic) started the
23 game and then you took it over and worked on it for
24 years and years. And you've used the term "bad penny"
25 and "sidewash" and all pejorative terms. And --

1 DR. PERRY: Be nice, Venky. Be nice.

2 DR. VENKATRAM: Is it possible that the problem
3 is so complex that the best you can do is not go
4 terribly wrong? I mean, it seems to me that you'll be
5 working on this -- I mean, you really can't capture all
6 the situations of downwash because the buildings are so
7 complex. The surrounding buildings are complex. So I
8 think the best you can -- in my opinion -- of course,
9 this could be -- but the best you can do is actually
10 not make big mistakes. That's all.

11 DR. PERRY: I think that -- that -- this is the
12 way I look at building downwash. If it's a single
13 building, I -- I think of building downwash as a source
14 effect, okay, just like plume rise is, just like any
15 other source effect.

16 So get it right in the -- and you'll -- and
17 you'll be okay for downwind. This is why I think the
18 Agency needs to also look at the urban approach overall
19 in AERMOD. So if you have a complex or industrial
20 complex of buildings, you can consider, as you say, in
21 some more general sense what's going on in this group
22 of buildings. But we're never going to get exactly
23 where that plume is going to go down and certainly not
24 on an -- on an one-hour or multi-hour average did it go
25 down this street canyon, did it go down that street

1 canyon.

2 But if we can sort of get what -- we can sort
3 of treat this as a source effect, get that right, then
4 model it correctly in a -- in a -- by getting the urban
5 meteorology and the urban dispersion overall correct, I
6 think we have hope to make improvements.

7 MR. TILLERSON: One more in the back.

8 MR. MONIRUZZAMAN: So I have a question about
9 when height is low and [indiscernible] and if the
10 terminal height is, say, [indiscernible].

11 DR. PERRY: No.

12 MR. MONIRUZZAMAN: If your source height is far
13 lower than the building height.

14 DR. PERRY: Are you -- you're asking if the
15 source height is -- source height is many building
16 heights above the top of the building?

17 MR. BRIDGERS: Below.

18 DR. PERRY: Oh, below?

19 MR. MONIRUZZAMAN: Yes. Is that, like -- like,
20 idling aircraft in a -- in an airport, if source height
21 is, say, two to --

22 DR. PERRY: I -- there's an echo in here. I'm
23 not sure I got the whole question. You're asking about
24 what -- what about sources below the top of the
25 building.

1 MR. MONIRUZZAMAN: Yes.

2 DR. PERRY: So if it's near the ground --

3 MR. MONIRUZZAMAN: Near surface, near surface.

4 DR. PERRY: Near surface. Right.

5 MR. MONIRUZZAMAN: Yes. And the -- the
6 building height is -- is very high, like airport
7 terminal, terminal building.

8 DR. PERRY: Yeah.

9 MR. MONIRUZZAMAN: And we see idling aircraft
10 in -- in the terminals. So therein makes a lot of
11 pollutants. So in that case, [indiscernible] is likely
12 to be caught near the -- near the buildings. So -- but
13 can PRIME model those conditions?

14 DR. PERRY: Okay. First of all, for an
15 individual building where the source is near the
16 surface, PRIME was actually developed with that --
17 those actual cases in mind. So it actually works
18 pretty well for those cases. That's the plume --
19 especially the sources downwind of the building, or
20 even if it's not downwind of the building because a lot
21 of the plume is actually captured in the cavity.

22 And so it's -- a lot of the problem that PRIME
23 has is getting it right, how much of -- if it's an
24 elevated stack how much of it gets captured in the
25 cavity and how much doesn't get captured, does it get

1 treated properly in the streamlines.

2 So for a surface release, that's -- it does
3 very well. Okay? You're talking about a case where
4 there are other buildings around, where the plume can
5 be trapped between buildings or -- or -- or -- what is
6 it that's trapping the pollutant that you're asking?

7 MR. MONIRUZZAMAN: Trapping -- trapping in the
8 terminal buildings, in the terminal in the airports.

9 DR. PERRY: Oh, inside the building?

10 MR. MONIRUZZAMAN: No. Outside.

11 DR. PERRY: Oh.

12 MR. MONIRUZZAMAN: Outside.

13 DR. PERRY: Yeah. I -- I don't know. I'm not
14 sure how well the model would do for that.

15 MR. TILLERSON: Do you have another idea?

16 DR. GUERRA: Well, I know that the Dwayne
17 Arnold Energy Center has a similar case where you have
18 a one meter release next to a very tall building that's
19 maybe 20 meters, something like that.

20 I can't remember how the evaluations look, but
21 that case would be very similar to what you're
22 describing. You know, but, again, we get into the same
23 thing, that in an airport you would have very complex
24 type of structures that would have an effect on how the
25 wind flow patterns would react. So -- so be -- it

1 would be a complex type of result, but I guess you
2 could get an answer, and -- and AERMOD has been tested
3 under similar conditions.

4 DR. PERRY: And -- and oftentimes, when you
5 have a very tall building and a surface release, that's
6 actually a good situation because the pollutant will
7 be -- on the downwind side of the building, the
8 pollutant can be drawn up the building very rapidly out
9 and away from the street level.

10 DR. ZHANG: So I have -- I have a question here
11 related, but is that a -- still a PRIME problem?

12 DR. PERRY: Is this a what problem?

13 DR. ZHANG: Is it still a PRIME -- the problem
14 for PRIME or is it just an AERMOD surface release
15 problem?

16 DR. PERRY: I would assume this is a downwash
17 problem or a building effects problem. I hope I
18 answered some of your question.

19 MR. MONIRUZZAMAN: Thank you.

20 MR. TILLERSON: All right. We will conclude
21 then. I want to again thank our panelists and Sergio
22 for stepping in at the last minute.

23 MR. BRIDGERS: So before we take break, Steve,
24 you're going to need stay right where you're at. You
25 don't get to leave.

1 So we were talking about something generational
2 just a minute ago and you had to look up bad penny on
3 the Internet. I happen to be of a different
4 generation -- I don't know if you can tell --

5 MR. TILLERSON: Wait a minute.

6 MR. BRIDGERS: -- but there's a local brewery
7 here that also serves a beer called Bad Penny and it's
8 actually a pretty good brown ale. With that, you don't
9 have to worry about sidewash. You have to worry about
10 backwash. And I will offer when we're not officially
11 on the record and officially on EPA campus to buy you a
12 Bad Penny.

13 But the other thing, Steve, you mentioned just
14 a minute ago that you're about to sunset yourself from
15 the EPA. And as many know, Steve's on staggered
16 retirement. And when -- when's the date,
17 Decemberish -- ish?

18 DR. PERRY: Yeah.

19 MR. BRIDGERS: So right now, all the members of
20 the AERMET committee that are -- that are in
21 attendance, can you guys come up? And, Roger, that
22 includes you. Steve, you're going to have to stand up
23 because, one, I want to get a picture of all you guys.
24 But I also wanted to offer if Akula or if Roger or if
25 Bob wanted to say any words. I think I also tell you,

1 Steve, that Bob put me up to this a little bit.

2 DR. PERRY: I'm sure he did. You just wanted
3 them to see all our faces so they could have --

4 MR. BRIDGERS: Oh, target practice?

5 DR. PERRY: Where do you want it?

6 [DISCUSSION OFF MICROPHONE]

7 MR. BRIDGERS: So, Bob or Akula or Roger, do
8 you want to say anything?

9 MR. BRODE: I appreciate Steve's plug on my
10 suggestion about the elongated building.

11 DR. PERRY: I appreciate you, Roger. Thank
12 you.

13 DR. VENKATRAM: Yeah. Yeah. I've known Steve
14 for umpteen years. I -- you want to say something,
15 Bob, first?

16 MR. PAINE: No. No.

17 DR. VENKATRAM: Yeah. I think I started with
18 my tenure with the complex training project and that
19 was in the 1980s. And Steve was involved with it. And
20 Steve came up with CTDM Plus. They're not -- does the
21 model still exist?

22 DR. PERRY: Yes, it does. Ask Randy Robinson.

23 DR. VENKATRAM: So I -- so I was in all of that
24 project, so I worked with Steve on that. And then in
25 2000, I think, we started the AERMOD project and --

1 because Steve championed it. That was in 2000, I know.
2 But this was a modeling conference and we said we'll do
3 this in one year because we're so excited about
4 changing everything. And he's excited about changing
5 things about PRIME.

6 So we decided, okay, let's do it in one year
7 and Joe take part and the head of OAQPS was sitting at
8 the back -- and I don't remember who all stood in front
9 with Steve championing it, and I think you had -- held
10 the flag, right?

11 DR. PERRY: [Indiscernible] AERMOD.

12 DR. VENKATRAM: Yeah, and you said we would do
13 it and it took us seven more years. But the way we
14 worked at it was actually what created the dispersion
15 model view. We would actually come here to US EPA
16 once -- what, once in four months and then get together
17 in a room and work for three days continuously. Of
18 course, it was interspersed with fantastic dinners and
19 lunches and C₂H₅OH. So it was -- it was fun.

20 But during those three days, all of us worked
21 intensely writing equations and programming. This was
22 pro bono, by the way. I just want to --

23 DR. PERRY: They were paying me, Venky. I
24 don't know --

25 DR. VENKATRAM: They were not paying us. So

1 Steve was -- he played a very major role in that. And
2 then after that, I think I started working with Steve
3 again over the next ten years on R-LINE. R-LINE was
4 another project. And, of course, he handled this
5 [indiscernible] and just been absolutely invaluable.
6 Steve, we're going to miss you. Maybe Dave Heist -- he
7 can -- you can do a good job, right?

8 DR. PERRY: Probably better. Probably better.

9 DR. VENKATRAM: So, Steve, you're going to
10 retire, but do you really want to retire? It's not
11 clear to me that you want to retire, because in
12 academia, we don't have anything called retirement. We
13 just go from faculty positions to something called
14 emeritus. So maybe you want to think about that. In
15 fact, I'm also retiring, but I'm doing it from an
16 emeritus. So you really don't retire. You just draw
17 much smaller salary.

18 But, anyway, Steve, you've been a fantastic
19 colleague, a great friend, and I'm sure -- sure you're
20 going to make major contributions even after retiring.
21 That's all I have. Thank you.

22 DR. PERRY: This is the whole truth and nothing
23 but the truth. I have made 35 years of my career
24 successful for one and only one reason. I surround
25 myself with extremely talented, extremely bright, very

1 good people and they make me look good -- sometimes.

2 MR. PAINE: Thanks. Steve, you know, I do
3 remember the CTDM days when we delivered a model, but
4 it only worked for half the hours of the year and you
5 had to make it a plus. It was a very ingenious acronym
6 you added there.

7 And so we had to work together on that, and
8 then, of course, AERMIC and downwash. I would like to
9 provide you with a -- a flow chart of how models are
10 really developed, and I have a copy for you, too.

11 DR. PERRY: Oh, good God.

12 MR. PAINE: Basically, I don't know if I want
13 this to be publicized because it has some of the
14 sausage-making aspects of models.

15 DR. PERRY: I'm not sure I can show this to my
16 grandchildren.

17 MR. PAINE: Anyway, anyone that wants to see it
18 can address -- come up to these individuals. Thank you
19 very much for all your help along these years. You've
20 been a great friend.

21 DR. PERRY: Thank you.

22 MR. BRIDGERS: This is all on the record. This
23 is just by coincidence. I picked up my AMS bag this
24 morning, so you've got the AMS, EPA, AERMIC and -- if I
25 can get it out of the bag. So, Steve, this is on --

1 this is on behalf of us. This is just a certificate of
2 appreciation to Steve for the years of dedicated
3 service and his contributions to AERMIC.

4 So, Steve, on behalf of us, thank you and
5 godspeed on your retirement.

6 DR. PERRY: I'm not used to people saying nice
7 things about me. I guess you have to retire to get
8 that.

9 MR. BRIDGERS: And I have been informed by the
10 weather gopher it's 94 to 95 degrees outside. So I
11 know it was a little cool in the back of the room, but
12 I -- I think it's better than we have outside.

13 We're still five minutes ahead of schedule, but
14 I know that last session -- actually, the last two
15 sessions were pretty long. I saw some long faces in
16 the room. So we're going to go ahead and take a
17 20-minute break versus a 15-minute break. We'll still
18 finish easily on time and get you guys out of here by
19 5:00 or thereabouts.

20 But I feel like 20 minutes is what we need to
21 stretch our legs, get some drink, some water and
22 whatnot. So I'm going to suspend the public hearing
23 until 4:05 and that's when we'll get going again.

24 [BREAK - 3:45 P.M. TO 4:05 P.M.]

25 MR. BRIDGERS: So in the interest of time and

1 the fact that I think a lot of us probably want to get
2 out of here at 5:00, I'm going to call the meeting back
3 to order. So the public hearing is back open.

4 I appreciate everyone bearing with us and
5 holding through the long session there. We have just
6 this one session to go and then we can go try those
7 Bad Pennies.

8 So now I'll invite to the podium Chris Misenis
9 so that Chris may conduct the prognostic meteorology
10 panel.

11 MR. MISENIS: Thank you, George. Knowing that
12 I'm all that stands between you and a few beverages,
13 we're going to move this right along.

14 So just a little background on prognostic
15 meteorological data, we put that in as an option for
16 meteorological inputs a few years ago. I think it was
17 one of the most sought after changes that we've made.

18 So just a little background on prognostic
19 meteorological data, we put that in as an option for
20 meteorological inputs a few years ago. I think it was
21 one of the most sought after changes that we've made.

22 Preference for meteorological data but remains
23 site-specific, site-representative data. National
24 Weather Service data, then prognostic meteorological
25 data. And since we've allowed the use of it, we've

1 received several applications using simulated
2 meteorology. Region 6, Region 10, Region 1. There
3 have been a -- maybe there's some others, but those
4 are the ones that come to mind right now.

5 And we thought we kind of nailed stuff down
6 when we put out the guidance for how to use MMIF or
7 how to run it and do everything, but we knew we were
8 going to miss a few things. But in the course of
9 reviewing those applications, some issues came up,
10 mainly applicants asking if they can blend prognostic
11 and observed data, the number of observation sites
12 used in the comparison. We actually did scare away
13 one applicant when we said, yes, you do have to use
14 more than one point to compare to your WRF data and
15 also determining representativeness.

16 So there's some questions that we knew we had
17 to flesh out over time, so today's panel's sort of
18 focused mainly on getting to issues that we see may be
19 a problem, things that are good about what we're doing
20 now with prognostic met, things that may need to be
21 changed and what we see may be needed in the future.

22 Our panelists today will be Ashley Mohr, from
23 EPA Region 6; Bart Brashers from Ramboll; Bret
24 Anderson from the U.S. Forest Service. And I'll ask
25 them to come up and sit at the table if they want. If

1 they want to stand and glare, yeah, menacingly at me,
2 that's fine, too.

3 While they're coming up, I'll give you a
4 little bit about each one. First we'll talk about
5 Ashley.

6 She's an environmental scientist in EPA in
7 Region 6 in Dallas. She joined EPA in 2010 and
8 currently works in the Air Permits Section, where she
9 serves as the Region 6 contact on air permit modeling.
10 As the Region's air permit modeler, she coordinates
11 activities related to the Region's oversight and
12 review of ambient air analysis conducted in support of
13 state-issued New Source Review permits. She is also
14 the lead for reviewing ambient air analyses submitted
15 by permit applicants to EPA Region 6 in support of
16 EPA-issued construction permit applications. Ashley
17 also serves as the EPA Region 6 state coordinator for
18 the Arkansas air permitting program. Ashley has a
19 master's and a bachelor's both from North Carolina
20 State University; a master's in atmospheric sciences,
21 a B.S. in meteorology.

22 Mr. Bret Anderson is a physical scientist with
23 the USDA Forest Service. Previously, he was the lead
24 regional modeler for EPA Region 7 and started with the
25 Nebraska Department of Environmental Quality. His

1 technical experience is in permit modeling,
2 meteorological and photochemical modeling, long range
3 transport modeling and smoke transport modeling.
4 Pretty much any kind of modeling, this guy right here
5 does it. Mr. Anderson is a graduate of the University
6 of Nebraska, Lincoln, with a B.S. in geography and has
7 an M.S. in computer information systems from Bellevue
8 University.

9 Dr. Bart Brashers did a post-doc with EPA
10 developing CMAQ from 1998 to 2001, primarily working
11 on dry deposition. He returned to Seattle and has
12 been with the same group for 18 years, though there
13 have been four different names on the door; most
14 recently, Environ and now Ramboll. He runs WRF at
15 multiple scales and regions, supports and updates the
16 MMIF tool under the guidance of EPA and has done
17 significant work on model development and evaluation.

18 I'll slide -- I'm going to leave the charge
19 questions up here and we're going to start with Bret.

20 MR. ANDERSON: No, we're not.

21 MR. MISENIS: Yes, we are.

22 MR. ANDERSON: Well, I did not prepare a
23 presentation. I'm sure most people are glad of that.
24 I did want to offer, you know, in relation to the
25 three charge questions a slightly different

1 perspective, and that's the land management community,
2 which is what I represent.

3 And we've been very happy about the EPA's
4 formal adoption of MMIF. You know, it's a personal
5 thing for me, obviously, as the original developer of
6 it. And Bart can talk about the continued development
7 of it.

8 But, anyway, we've -- we've made a conscious
9 decision within the land management community to
10 transition away from -- we continue to use CALPUFF as
11 our preferred model for, you know, doing, you know,
12 air -- air quality related values modeling. And, you
13 know, the backbone for meteorology coming up through
14 the years has been CALMET meteorology.

15 So with the advent of MMIF and EPA's formal
16 adoption of it, we're transitioning towards
17 recommending the use of MMIF in lieu of CALMET for the
18 development because it promotes -- promotes -- you
19 know, from our understanding, it promotes traceability
20 protocol because, you know, there are very few
21 switches associated with -- you know, with MMIF.

22 So it promotes general consistency in the
23 development of meteorology and then also it is -- it
24 provides an advantage because it means there is a
25 dynamic consistency of the original prognostic fields,

1 you know, that can get disrupted when you're using
2 objective analysis techniques. And so the -- those
3 are what we, you know, view as the positives for, you
4 know, EPA's move, you know, towards prognostic
5 modeling.

6 The challenges, you know, I -- I talked about
7 the challenges previous, you know, I think -- I think
8 at the 10th Conference I talked about the challenges
9 related to the adoption of prognostic met. And they
10 remain largely the same, from my observation
11 standpoint. You know, I see a little bit -- I get
12 involved in, you know, a few of the PSE permits where
13 MMIF was being used for the near field component of
14 it.

15 But we still -- still see the same questions
16 being asked either in the near field or in the far
17 field. And so that speaks to what John Irwin talked
18 about at the 7th Modeling Conference back in 2000, you
19 know, which was, you know, kind of ensconced in the
20 IWAQM Phase 2 guidance that talked about there was a
21 general consensus that as the community moved toward
22 with these -- you know, with the use of these products
23 that there would be a greater awareness of it.

24 But we still haven't seen that awareness
25 develop to its -- you know, to its maturity there, and

1 that remains the single greatest challenge. It -- in
2 every aspect of the use of prognostic met, we just see
3 a general lack of awareness in the -- particularly in
4 the permit modeling community about where it comes
5 from, how it's run, how do you evaluate it and all of
6 these sort of things. And so that creates a
7 challenge.

8 You know, so you mentioned -- Chris mentioned
9 the PSD project in EPA Region 10. Bottom line, the --
10 you know, one of the commenting agencies that was
11 involved in that absolutely refused to accept
12 prognostic met because there was no way that it could,
13 you know, work in complex terrain, even though it was
14 run at a very high resolution, was run with good --
15 you know, with good thought into the physics packages
16 and everything else.

17 And -- but just absolutely were convinced that
18 it couldn't do what -- you know, what we were saying.
19 And so that is the consistent -- you know, we see
20 that -- that consistency in the resistance, the lack
21 of understanding. And that -- that remains, I think,
22 probably the single greatest challenge to the
23 continued use of -- you know, promotion and use of
24 prognostic met.

25 The one thing that we do see an awful lot of

1 is still a general lack of adherence to, you know,
2 Section 8452 of the *Guideline*, which is -- deals
3 specifically with the performance evaluation section.
4 And people just don't want to do it.

5 You know, when I worked for EPA Region 7, we
6 asked somebody to do a performance evaluation on the
7 MM5 data that was being used for the BART runs that
8 they were doing, and they absolutely flat-out refused
9 to do it, even though it was in the regulations. It
10 says that you have to do -- you have to justify use of
11 this meteorology. They refused to do it. They said,
12 "We're not going to pay for a research project."

13 And so that remains -- that remains a
14 consistent thing that we see, is that people just
15 don't -- they don't understand what -- you know, what
16 the elements of a proper performance evaluation are,
17 how to document it; you know, what -- what statistics
18 to focus on, do I separate observations from simple
19 terrain to complex terrain and segment the analysis
20 that way.

21 There's a lot -- there's a lot of things that
22 we can do as a community to continue to augment the
23 understanding, because the key -- the key here is, you
24 know, you're not going to be the ones that are running
25 the meteorology. You know, it's very -- it's a

1 very -- you know, very few people in this community
2 are actually the ones -- the end-user of the product
3 of it. But they still have to justify its use.

4 And as such, the performance evaluation
5 becomes the critical element in providing that
6 justification. And that -- that's something that we
7 as a community need to work on, is doing that.

8 And so, finally, you know, to talk about, you
9 know, where -- where do I see, you know, moving
10 forward advancements, I'm not going to so much speak
11 about what I see advancement's going to be. I'm going
12 to talk about my wish list moving forward, and that
13 has a lot to do with we need to come up with better
14 guidance on the -- you know, for the document -- how
15 to document a performance evaluation and also do a --
16 you know, do a more thorough job of actually
17 documenting how -- you know, how a performance
18 evaluation gets done.

19 And, you know, there's -- you know, it's,
20 like, if we're going to allow people to use these --
21 you know, these data products, you know, there --
22 there has to be an expectation that they can -- you
23 know, they can do a cogent performance evaluation to
24 justify it. And with that, when I keep talking about
25 justification, always remember that, you know, in the

1 land management community, we are a Section 30b
2 commenting or reviewing agency. So we have -- when
3 you're doing the AQRV modeling, we do have -- we do
4 have purview to determine whether or not, you know,
5 the prognostic datasets are acceptable. That's not
6 just a -- it's not just an EPA decision at that point.
7 You know, that's my sales pitch for the day.

8 But -- so, you know, one is -- you know,
9 coming up with better guidance on performance
10 evaluations. And I think as we move forward, I think
11 another thing that we need to think about is because,
12 you know, one of the attractiveness features of
13 prognostic met is, you know, we -- it's a selling
14 point, its complex terrain; you know, being able to do
15 that.

16 So -- but the majority of the evaluation
17 metrics and techniques are really for -- they were
18 designed for urban settings back -- you know, dating
19 over 20 years. And so there's been very little
20 thought that has went into developing, you know,
21 techniques that are -- or metrics or these different
22 values of metrics that, you know, would be deemed,
23 quote/unquote, acceptable for areas of complex
24 terrain. You know, there's been -- I think Dennis
25 McKeown (phonetic) came up with some extended

1 statistics for a few wind -- you know, for wind and
2 things like that or what is called more complex
3 terrain.

4 But people -- you know, generally, you don't
5 see people using that. So there -- there needs to be
6 greater thought about -- you know, because this is an
7 area where we're using, you know, the prognostic met,
8 is where we don't have observations. We need to --
9 you know, we need to focus on, you know, what is --
10 what is accept -- what is kind of an acceptable
11 criteria in urban application or in ozone or PM_{2.5}
12 implementation plan may not be the same thing. You
13 know, we may have to, you know, have a little bit more
14 relaxation of expectations because in areas of complex
15 terrain, it's not going to do as well as we would hope
16 for. So there's that.

17 One of the things as far as the land
18 management community goes is that sometime -- you
19 know, hopefully long after I retire -- we will
20 actually come out with a new version of FLAG, you
21 know. And I can't say when that is. I've been
22 talking about that for a number of years, too. But
23 there's a general interest in the -- incorporating the
24 concept of critical loads into the AQRV matrix to kind
25 of get a better handle on deposition.

1 You know, it's like the DATS are not a -- not
2 a very effective measure of much of anything. And so
3 there's been -- there's been a push inside the land
4 management community, you know, for incorporating
5 critical loads into that concept.

6 And that brings on an entirely new focus on
7 techniques for evaluating precipitation, because wet
8 deposition is obviously a critical component, you
9 know, getting into that. And I think that's one of
10 the areas that is probably the poorest evaluated of
11 all the, you know, components of it, is precipitation.
12 You know, it's simply -- you know, people are
13 generating month -- you know, monthly average plots
14 and comparing them against prism data, as an example.

15 There has to be -- there has to be a better
16 way of -- you know, of getting at episodic conditions
17 when we're talking about dealing with precipitation
18 patterns. You know, not all of the stations give us
19 precipitation patterns, but also the timing of it.
20 You know, those are -- those are important aspects
21 that we overlook.

22 And then the last thing is the evaluation of
23 the vertical. You know, we have for years developed
24 the techniques around surface observations and
25 incorporating those. And there are very few -- I

1 think AMET's the only one that has the capability of,
2 you know, comparing against the actual sound. But
3 that's -- that's a monstrosity of a system to try to
4 use. And so the more simple tools, like METSTAT or
5 MMIFSTAT, you know, and things like that are focused
6 on surface observations.

7 And so we have no understanding of how well
8 the model is doing above the surface level. And so
9 that's another area that I would like to see, you
10 know, that there'd be expansion in terms of not only
11 technique but also guidance on -- just focusing on
12 upper air evaluations as well. Thank you.

13 DR. BRASHERS: Hello again. Like I -- like I
14 said, my name is Bart Brashers. Hold on one second.
15 I took over the evaluation -- or the -- the -- we
16 should talk about some history of met, I suppose, a
17 little bit.

18 Bret put together the very first proof of
19 concept and it had an unfortunate acronym that Bret
20 Anderson reformatted, so we had to rerun that. I took
21 over development from my colleague, Chris Emery, back
22 at Version 2.0. So I've been working on it for a
23 number of years now.

24 As far as the questions go, the most
25 significant advantage is -- there's lots of obvious

1 advantages: using it in complex terrain or in remote
2 areas. And you'd be surprised at what people now
3 consider to be remote areas; like, northeastern
4 Washington; you know, 60 kilometers from the nearest
5 meteorological site, or I've done a few in -- a few
6 model performance evaluations in Pennsylvania, which
7 have been similarly, like, 50, 60 kilometers from
8 other meteorological sites.

9 You know, before MET, it -- I was -- always
10 kind of took a very practical approach to things;
11 like, which of these two meteorological sites is the
12 most representative of my site, not whether it was
13 representative or not, because I didn't have any
14 choices. I have this site or that site, which do I
15 pick.

16 But now you have a third choice, which would
17 be if neither of those are sufficiently
18 representative, you can run WRF or find somebody else
19 who has run WRF for that area and do a model
20 performance evaluation and off you go for using it for
21 permitting purposes.

22 One of the places where MMIF has been
23 surprisingly useful is offshore. We talked a little
24 bit about that this morning, but you'd be -- all be
25 surprised at how low quality, low percentage of the

1 available hours that buoys are actually measured. So
2 it's difficult to use buoy measurements to run
3 offshore dispersion modeling when you only have 60 or
4 70 or 80 percent completion rates.

5 Another interesting aspect about it, which I
6 think all of the consultants in the room will
7 understand, is not only is using MMIF cheaper than
8 installing a meteorological tower, probably about a
9 third as cheap, maybe a little bit less -- maybe a lot
10 less, and -- but it also goes a whole lot -- heck of a
11 lot faster than installing a meteorological tower,
12 right? To get a PSD quality met tower usually takes
13 five quarters before you -- you have a year's worth of
14 data.

15 And all of the consultants in the room have
16 all had clients who are in a really big hurry. I see
17 you nodding and some chuckles at least. So the speed
18 is perhaps the most surprising part that I've found as
19 part of this. We all know that the engineering of the
20 PST project goes a lot faster than the PST permitting
21 of the PST project.

22 So people say, "I don't need to decide the --
23 the size of this emergency generator. I won't know
24 until two months before construction or even the day
25 of construction, when we finally size everything about

1 what we're going to do. Then I can size that
2 emergency generator." But, oh, no, we have to tell
3 EPA a year ahead of time what generator that's going
4 to be.

5 As far as Question 2, challenges, I have met
6 some states or agencies that just have been skeptical
7 of -- of whether or not prognostic model can actually
8 do a good job at -- at simulating the meteorology.
9 Some of them were just slow to learn about the --
10 these changes in Appendix W. Some just had some sort
11 of, like, gut-level reaction to meteorology.

12 And when I drilled down farther and really
13 pressed them on the question, it's, like, it ends up
14 being a feeling, like, "Oh, for this hour, the wind
15 was 90 degrees off from that hour. And then I looked
16 at another hour and it was -- it was 180 degrees off.
17 The wind was going in the wrong direction in your
18 model, so it can't be right."

19 But then I try to point out to them that
20 they're working with AERMOD, which is also not
21 advertising itself to be good at predicting a
22 particular hour's concentration at a particular point.
23 It predicts distributions, and so do meteorological
24 prognostic models. They predict distributions of
25 winds. As long as they get the distribution correct

1 over the time frame, then we should be able to use
2 them.

3 Another -- another challenge often for me is
4 sometimes there's a lack of good quality
5 meteorological studies that you can use for your model
6 performance evaluation. There's -- especially in
7 really complex terrain in really remote areas.
8 There's nothing there that you can compare in a -- in
9 a statistical sense with your work to make sure that
10 it actually works, that you're actually -- that the
11 WRF run is -- is accurate enough. And that -- I don't
12 know if I have a solution for that myself.

13 The very first WRF/MMIF AERMOD model
14 performance evaluation that we did -- I can give you a
15 quick aside about it. Not only was it the WRF
16 performance evaluation that was kind of following the
17 PM_{2.5} guidance for regional modeling, which was really
18 aimed more towards CMAC or KMEX modeling. So it did a
19 typical, like, period in time statistics and, as Bret
20 pointed out, the monthly average rainfall compared to
21 prism plots. And we did qualitative analyses looking
22 at some soundings.

23 But the problem is that I always use the
24 soundings as inputs to WRF. So I'm comparing outputs
25 to inputs and I don't think it's a fair statistical

1 comparison. So I don't think -- so I don't do it. I
2 need some independent -- you know, some independent
3 upper air observations.

4 And then -- so not only was it the
5 meteorological part, but then for each of the nearby
6 meteorological stations that we could find, we ran
7 AERMOD with observations and we ran AERMOD with MMIF.
8 And we compared the outcomes from AERMOD itself. So
9 it was an AERMOD evaluation and said these outcomes
10 from AERMOD were similar.

11 The first one was for a very controversial PSD
12 project in Region 10, and I know that Region 10 has
13 been distributing that as a -- as an example and
14 perhaps one of the challenges going -- in the future
15 would be to scale that down a little bit to be
16 something that is something more reasonable for a less
17 controversial PSD project, given that in Region 10
18 almost all PSD projects these days are probably
19 controversial, but not in all regions.

20 We did a similar MPE using the WRF data that
21 we ran for Tony and the Allegheny County,
22 Pennsylvania, SO₂ segment. And we ran that for a --
23 and redacted the NPE. So it was a no-name power was
24 the name of the power plant. And we distributed that,
25 given that to Region 3, I think. And I don't know if

1 they have used that as a template elsewhere.

2 But I don't think that the cost of generating
3 an MPE, model performance evaluation, is a significant
4 chunk of -- it's really not a significant chunk of the
5 total budgets for any PSD project that I've ever done.
6 So I don't think it's a huge hardship.

7 Moving forward, I think that's -- that's
8 probably the -- the part that I'm going to get on the
9 tallest high horse about. I spoke this morning about
10 how the AERMET model formulation was designed really
11 around the types of meteorology that you can measure
12 and the types of physics that you can try to estimate
13 using that measured meteorology. So its formulation
14 is really centered on what you can measure over
15 layers. And that formulation -- I don't believe that
16 has been revisited in a number of years, at least 10,
17 15 years; something like that.

18 Well, at the same time, according -- as you
19 see on the Question 3 here, the prognostic models, WRF
20 and soon MPAS, M-P-A-S, the model for prediction
21 across scales. That was -- that's the next generation
22 that's on its way up the scales through the National
23 Center for Atmospheric Research.

24 Those models are undergoing constant
25 development. So we're having a little chat after the

1 morning session here about how we could better feed
2 the things that WRF can calculate, and that we believe
3 that it calculates reasonably well, into AERMET more
4 directly without having to go simplify it or dumb it
5 down to match what things people could normally go out
6 and measure in the real world.

7 For instance, the latent heat flux from soil
8 is extremely difficult to measure. You have to get a
9 sonic anemometer and a high -- high frequency
10 temperature and relative humidity sensor to do
11 direct -- any correlation measurements. Nobody wants
12 to do that. Well, I think it'd be fun, but not many
13 people are willing to do that for a project.

14 But WRF can -- can calculate that just fine.
15 It has a -- it has a well-defined ground surface
16 temperature and an air surface temperature and ground
17 surface moisture and air surface -- air moisture. I
18 can calculate all those -- all those things. So the
19 ability to feed those to -- into AERMET I think is
20 going to be the biggest challenge for the future and
21 figuring out how much we need to validate those WRF
22 outputs before we can trust them enough to put them
23 directly into AERMET. I think that could be a big
24 challenge.

25 Probably the biggest challenge, though, for

1 AERMET would be it still has that fixed idea that any
2 daylight hour is convective. And converting that to
3 be triggered by a sine of the fluxes, as Venky said,
4 it seems possible to do, but I think that would
5 require an AERMET reformulation, which would require
6 rulemaking. So now we're talking years down the
7 future here. So nobody hold your breath, please. I
8 think that's it for me.

9 MS. MOHR: So, again, I'm Ashley Mohr from EPA
10 Region 6, in the Dallas office. I'd like to thank
11 Chris for inviting me to participate on this panel. I
12 did not confer with Bret on my comments beforehand,
13 but you're going to hear some repetition. But I have
14 to give a little bit of a regional perspective from
15 EPA's side at least on kind of what we've seen by way
16 of implementation using MMIF, using prognostic met
17 data, projects that we've kind of encountered,
18 applicants that we may have scared away. I'm going to
19 let Chris take that on there.

20 But, again, since kind of coming out with the
21 MMIF and using prognostic data, we've seen the
22 advantages, obviously, just the flexibility of being
23 able to identify appropriate meteorology for a given
24 project, some of these PSD permitting projects, some
25 of these designation projects that we've worked on.

1 So there are kind of three main scenarios,
2 kind of key terms that we've already kind of touched
3 on. The idea that facility is located in complex
4 terrain, so you either don't have a met station
5 located nearby or -- quote, nearby, or one that is
6 nearby has a major topographic feature that stands
7 between it and the facility, so you're not getting the
8 wind flow that you'd expect captured at that met
9 station that you are actually seeing at a facility or
10 techs see at a facility.

11 Similarly, you may just have a -- you may not
12 have a met station that is close enough to be
13 considered representative. I'll give examples from a
14 Region 6 perspective for each of those.

15 And then, finally, I'm talking about
16 observation monitors that have large periods of
17 missing data. And our example on that is the offshore
18 stuff, because there's a lot of offshore -- those
19 projects are very hot in Region 6 right now, so
20 we've -- we've been talking with a lot of consultants
21 and industry on that and addressing that particular
22 problem.

23 I'm just kind of going down those three
24 examples. I guess that's Scenario 1, talking about
25 complex terrain, we had one of our state agencies --

1 it's actually a state-issued permit that they were
2 looking at -- at a facility that was located in
3 complex terrain. And they had concerns that the --
4 the met station wasn't representative, wasn't
5 capturing the fact that this facility was located in a
6 valley and the wind flow that was associated with
7 that.

8 Ultimately, they did not go by way of using
9 WRF/MMIF. They actually went towards the more
10 expensive option of installing an on-site met station.
11 For their purposes, that company decided that was the
12 way for them to go. This is kind of early in the
13 rollout of WRF/MMIF.

14 The second case, that was for a designations
15 project that we worked on in Region 6. There was a
16 met station I think within, like, 50 -- 50, 60
17 kilometers. But, again, there was a reason that they
18 didn't feel that that particular airport met station
19 was representative of the facility. There was a
20 closer met station to the facility, but it had missing
21 data, a lot of comm hours that were giving them a lot
22 of problems. And so they approached Region 6 and the
23 option of, you know, prognostic met data's out there;
24 how can we use this, does it provide an option for us.

25 That's actually one that we did work with that

1 particular state with that project. They went through
2 the full -- they did -- they did use the EPA WRF, the
3 12-kilometer grid WRF run, but they did their MPE
4 using some of the examples that were given by
5 headquarters and then by the region itself.

6 That model performance evaluation actually
7 focused on both the regional scale, so we asked them
8 to look at statewide, how is the model performing
9 statewide, not just within the particular area that
10 they were looking at the designation; and once they
11 had a handle on how the model was performing at that
12 larger scale, then looking also at the local
13 performance. And I believe that they did use METSTAT
14 and AMET for some of that MPE work that they did.

15 The third scenario was just kind of the -- the
16 more common one that I've been involved with lately,
17 is the offshore permitting. As Bart mentioned, I --
18 it was not known to me, and so getting involved in
19 these projects, the availability, number one, of buoy
20 data is -- relative to the -- where these facilities
21 are located. And when you start looking at the met
22 data, large periods of time where either all
23 observations are missing or specific parameters that
24 you need to feed into the model are actually missing.

25 So, initially, the applicant came to us with

1 the idea of, like, you know, we're looking at using
2 the buoy data, but we are interested in prognostic met
3 data; you know, what does that involve; you know, how
4 can we get the actual WRF data and then look at doing
5 the model performance evaluation.

6 Ultimately, that was -- for that particular
7 project, they decided to go with the buoy dataset and
8 do some pretty intense data substitution based on the
9 observed data that was out there, and they did not go
10 by the way of doing the actual WRF/MMIF from a
11 segmented approach.

12 And that kind of lends itself into, you know,
13 these are -- these are three scenarios, at least in
14 Region 6 perspective, that WRF does give us -- the WRF
15 prognostic met data gives us an advantage. These are
16 areas where there is a need. Obviously, the community
17 has, like, identified these needs and -- and we're
18 willing and we would like to work with the community
19 to kind of be able to generate more opportunity for
20 using this met data because of the flexibility that it
21 does provide. But it does blend into, you know, well,
22 why -- the two or three examples I just gave you,
23 the -- those folks walk away and install a tower or
24 try to piece together very incomplete buoy data. So
25 that talks about just the -- the challenging aspects.

1 I know something that hasn't really been
2 touched on, kind of initially the challenge was the
3 idea of, like, how do we get WRF datasets that exist;
4 specifically, the EPA's dataset. So early on, folks
5 were asking how can we get that data, where do we go
6 to get that data. Headquarters heard that concern and
7 they did develop a methodology and procedure where,
8 you know, you have a single point -- there are single
9 points throughout the country where applicants can go.
10 So that -- that was an initial challenge that we
11 faced, but -- but, like, the -- what's in place now
12 has been working for folks to address that challenge.

13 So kind of moving into the existing
14 challenges, the ones that we still feel like that
15 we're facing, one is just the level of familiarity or
16 comfort of the dispersion modeling community when you
17 start talking about prognostic meteorology.

18 The idea it's -- it's the same world, but it's
19 two very different sides of the world at times. And I
20 speak from experience. My master's degree was in more
21 prognostic modeling. I was doing 3D chemical -- or
22 photochemical modeling. I went to consulting and they
23 started talking about dispersion modeling in AERMOD
24 and it was a totally different world for me. So there
25 was a learning curve for me to make that adjustment

1 from using photochemical modeling, 3D modeling to
2 dispersion modeling.

3 So I think a lot of times now when we are
4 talking with industry, applicants or even, like,
5 states who might be skeptical, it's -- they're just
6 not familiar with it. And so the idea is, like,
7 there's a learning curve there. Like, even if they're
8 not going to do the modeling themselves, there's a
9 learning curve to understand what is actually -- you
10 know, how is the model set up, what -- what do the
11 outputs look like; you know, later on, how do we
12 evaluate how the model is performing.

13 And for a lot of the projects that we're
14 facing, that learning curve -- that's more time.
15 That's more resources that for projects that are very
16 time-sensitive, while it may not in the long run take
17 as long as some of the alternative approaches, at the
18 time, it's just an additional hurdle that some folks
19 just feel is too much to overcome. And a lot of that
20 has to do with being the first or second or third
21 person out of the gate of doing something that is
22 truly new to them.

23 A kind of similar challenge in the way to do
24 that is just the perceived introduction of
25 uncertainty. And this really centers around the model

1 performance evaluation piece and the idea of, like,
2 you know, what is that, what does that require, how do
3 we do it, what are the tools, how do we get access to
4 those tools. And so a lot of folks are -- are asking
5 do you have a go-by, do you have an example, is there
6 a guidance document out there that I can -- that I
7 can, you know, refer to. Because, you know, based on
8 experience, like, you know, when we're doing permit
9 modeling in particular, states have guidance that they
10 use for permit modeling. EPA has guidance as well,
11 but it's related to permit modeling. So folks are
12 really looking for that type of a guidance document,
13 especially for something that is, you know, new to
14 them.

15 The model performance evaluation is -- on its
16 own is perceived as an additional step in the process
17 to even get to the point of doing the modeling. So
18 they're trying to generate this met data, but to do
19 that, you have to show that the model is performing
20 well enough and is appropriate in your scenario. So
21 the question is what if we go through this, quote,
22 research project, which a lot of them, you know, think
23 that it might become, and the answer is the model's
24 not doing very well.

25 So then they feel like, well, now we're back

1 at square one. So instead of being at square one, we
2 want to invest our time, our resources into putting in
3 an on-site met tower or we want to invest our time and
4 resources in having discussions with the permitting
5 authority to determine is there a way that we can
6 stitch together a dataset that is representative of
7 our particular facility.

8 So, again, the last two challenges are really
9 additional time and resources. I think a lot of that
10 is just because there isn't a lot of information out
11 there about what really is involved and there's kind
12 of a misunderstanding of what -- the additional step
13 and it takes. So I think that kind of -- and, again,
14 this is something that's been touched on, especially
15 by Bret. You know, moving forward, the idea of,
16 like -- I think a big piece in improvement is more
17 guidance; you know, more examples, which I think with
18 time will come and more folks will be able -- you
19 know, will do these types of evaluations. There will
20 be -- like, in Region 6, our applicant was very
21 interested in what Region 10 was doing because that
22 was the first, you know, tangible document.

23 This is what an MPE looks like. This is what
24 I need to do. So in time, we'll get that. But in the
25 meantime, until we have those scenarios and have those

1 additional examples, I really do believe that, you
2 know, additional guidance on how to actually perform
3 that model performance evaluation is an important
4 piece, because in our experience in Region 6, we don't
5 have a lot of interest in folks that are actually
6 running the model. They're not looking to create
7 their own scenario and re-run WRF and then come up
8 with their own model and scenario to then evaluate and
9 feed their modeling. They want to use the
10 off-the-shelf stuff that's already out there and then
11 evaluate it to justify it for their use.

12 I think as part of that, something to keep in
13 mind is also making ways to standardize or streamline
14 that evaluation. While it -- while it can't be black
15 and white and it certainly shouldn't be black and
16 white, yeah, you have the steps that are taken. It
17 would be beneficial, I think, to all the stakeholders
18 in the process -- obviously, those doing the work, but
19 on the flip side, the permitting authorities, whether
20 it be the state or local level, or, in our case, when
21 we're looking at offshore, we are the permitting
22 authority for that at EPA.

23 You know, knowing that, you know, the
24 applicant followed this standardized methodology that
25 was, you know, provided in guidance is a helpful

1 starting point because you kind of know that you're
2 coming -- you're coming at something that is -- that
3 is standardized, is something that you have at least
4 somewhat of a starting point of where they -- they
5 began their evaluation. So I think, again, that --
6 that will help with the overall implementation for all
7 stakeholders.

8 I just want to touch on Eric Snyder in Region
9 6. We were talking about this. We have -- one of our
10 states actually has a model performance web-based
11 tool. It's not related to this in any way. It's for
12 their ozone modeling, but on their website, they can,
13 you know, choose an episode, choose a site location
14 and it produces statistics there. It has graphs. It
15 has a map that's interactive. And so something like
16 that just makes kind of that burden of trying to do a
17 statistical analysis, you know, more -- more
18 user-friendly.

19 So, again, that's -- that's kind of the Region
20 6 EPA perspective on, you know, where we stand, what
21 we've experienced and kind of where we would like to
22 see it go forward.

23 MR. MISENIS: Thank you. We've got time for
24 questions. Anybody? You folks ready to go to Bad
25 Penny?

1 MR. ANDERSON: I have a -- I have a question
2 for EPA. And this is a -- this is a real-world
3 scenario here. And it's, like, there are -- we had an
4 EA -- you know, for those that are familiar with the
5 oil and gas world, you know, it's, like, you get a lot
6 of small projects, you know, where we have -- that
7 don't rise to the level of doing a full environmental
8 impact statement.

9 And so these small projects are what we call
10 EAs, an environmental assessment. But it's all part
11 of a NEPA project. And we had one particular case in
12 southern Colorado where we had the -- the issue that
13 Ashley described, was that we had airport data at
14 Durango, but the area that we were modeling and where
15 the development was occurring was, you know, two
16 mountain passes over from there. And so it was not
17 likely that the Durango airport data was very
18 representative of this.

19 And so I had approached the EPA regional
20 office about using MMIF data in lieu of, you know,
21 observational data, and the response I got back was a
22 bit frustrating to me from the perspective that, you
23 know, we had -- they insisted we had two years of
24 nonconsecutive four kilometer data in the area, but we
25 didn't have a third year. So the question becomes is

1 it -- at what point does the -- does the regulatory --
2 even though this wasn't technically under the auspices
3 of Appendix W, you know, we -- we try to follow
4 Appendix W to the extent practical, you know, in -- in
5 the NEPA world.

6 Does the -- does EPA look at relaxation of the
7 requirement for three years of data, you know, to
8 treat it more like -- you know, it's like you're
9 actually extracting the meteorology at the location
10 where the development's occurring. Could it -- could
11 it philosophically be treated as on-site data and, you
12 know, thereby, you know, having the one year --
13 because at that point, we just -- when we were told we
14 had to have three years of consecutive, you know,
15 prognostic data, we had to abandon because we
16 weren't -- the off-the-shelf data was available, we
17 just didn't have -- we didn't have a three-year
18 dataset that was consecutive. So we just had to
19 abandon it altogether.

20 And so to me, it was a -- to me, that's a lot.
21 You know, that's an area I think, you know, that we
22 could explore in terms of future regulatory
23 development; is, you know, philosophical, you know,
24 sidebar on that. You know, it's like, you know,
25 what -- is this a -- is this potentially a -- an

1 impediment to actually getting an environmental
2 analysis done with something that is representative of
3 that area, but because of -- because the regulations
4 prevent, you know, we don't have that full data, that
5 full template dataset available to us that the
6 regulations got in the way of actually doing the
7 analysis.

8 And so, you know, I'm throwing that to EPA as,
9 you know, is that something that you guys would be
10 willing to think about, you know, as far as your
11 relaxing -- you know, relaxing the -- that
12 requirement, you know, as a computer extracting, you
13 know, for the area where you're modeling, or are you
14 going to insist on three years?

15 MR. MISENIS: I'll give it to the boss man.

16 MR. FOX: The current *Guideline* is the current
17 *Guideline*. So to make any changes to that would
18 require regulatory process. So you're -- you're fully
19 aware of that.

20 MR. ANDERSON: Yeah. I'm just asking --

21 MR. FOX: I think from a -- from a broad
22 standpoint, I mean, our -- our job and -- and the
23 first realization of getting these data available for
24 use was to -- to do just that. And so as we look
25 forward in terms of what -- what should the, you know,

1 temporal nature of these data be for future
2 considerations, I think we're open for discussion and
3 evaluation and looking at those things and recognizing
4 the strengths that some folks may have.

5 At the same time, I think it is an incentive
6 or, you know, drive -- driver for people to be
7 developing these datasets across the country at
8 levels -- you know, resolution that would be
9 appropriate. So at the same time, over time, a lot of
10 these questions or these issues hopefully will resolve
11 themselves because there is an incentive for these
12 data to be available, broadly speaking.

13 We've got 12-kilometer data across the entire
14 community that we are providing, but I realize in the
15 West, you know, there's a lot of need for more resolve
16 information. So from a -- from a Clean Air Act
17 standpoint, programmatic standpoint, the *Guideline* is
18 what it is, but I think the conversation can go on and
19 should go on to think about ways in which we should
20 consider use of appropriate data when they're
21 obviously, you know, more appropriate than an
22 alternative, which is what you're putting forward.

23 In -- in the NEPA context, that, to me, again,
24 is -- is a tougher context. It's not under the Clean
25 Air Act, and so the *Guideline* is a benchmark or

1 something to -- to look to. And so from that
2 standpoint, I -- I would have thought there would have
3 been maybe some consideration of using those data,
4 even though it's only two years, because the general
5 standpoint is that the *Guideline* is there for a
6 reference or consultation purpose, but it is not
7 enforcing in the context of NEPA. At least, that's my
8 understanding.

9 MR. ANDERSON: No. That's -- that's a very
10 good point.

11 MR. FOX: And -- and NEPA is not listed under
12 the *Guideline*. NEPA's a separate act. And, again,
13 you know, in terms of dynamics of -- of NEPA, EPA
14 comes to the table as the participating agency and
15 provides information and requests recommendations as
16 to how air quality should be treated. And I would --
17 I'm surprised to hear that -- that in a situation
18 where you might have better resolve and more
19 appropriate data those data weren't used and -- and
20 rather be stuck with the -- a less representative
21 situation.

22 In those cases, I think we have flexibility,
23 you know, because that's not under the formal
24 *Guideline* under Clean Air Act.

25 MR. MISENIS: Anybody else? I think you've

1 asked a question every panel, Bob. I should have just
2 come and stood by you.

3 MR. PAINE: No. That's okay. I have the
4 question about the -- the skeptic. Are these
5 databases real, how do they compare to real towers or
6 profilers. So has there been an extensive evaluation
7 done on -- against real towers and real situations or
8 NOAA profilers so we can get an idea of other biases?
9 Depending on how you run WRF, what's the resolution
10 needed to be confident of the met data? So I think
11 that would be helpful.

12 DR. BRASHERS: I can start out with a quote
13 that I heard many years ago comparing observations to
14 model. No one believes the model except for the
15 modeler. Everyone believes the observation except for
16 the guy who took it.

17 It's hard to measure stuff anyway. But there
18 are a number of profilers out there that one could
19 use. And I have personally not done that. I think
20 that very few of my domains were in the area and in
21 the time period when those profilers were operational,
22 because NOAA shut down a bunch of those profilers in
23 about 2015 or so, or they started to drop off and not
24 become available.

25 We did do some work for Allegheny County with

1 a RASS, was it? It was a RASS, radio-assisted
2 sounding system. And, you know, that was a mixed bag
3 because of that same quote that I said. It's really
4 hard to actually measure stuff.

5 MR. PAINE: I guess the follow up is that
6 you -- if you apply -- if you have this WRF data
7 developed for a place that you have no data to check
8 it against except for surface data, how do you -- how
9 do you know whether it's right aloft?

10 DR. BRASHERS: Every WRF model is a series of
11 nested grids. So the innermost nest is probably the
12 one you're going to use to run AERMOD with. And there
13 are outer nests which feed their boundary conditions
14 to the inner nest. So impose their will upon their --
15 the inner nests. So there's always some soundings
16 that are -- or some sounding locations that are within
17 at least some of your outermost grids. And we can
18 believe that the physics of WRF is the same for all
19 grids; therefore, we believe that the profile was the
20 same. And we can always extract the profile from the
21 innermost nest and say, "Oh, yeah, that looks about
22 the same as the hour from the outermost -- outer
23 grid."

24 MR. SADAR: It actually was a sonar, but we --
25 we are now operating a sonar RASS and we just

1 hopefully got good valid data last week using a radio
2 sonar and validation. And hopefully we'll have at
3 least a year, maybe two years' worth, of sonar RASS
4 data on a large main industrial site that will be very
5 helpful.

6 DR. BRASHERS: Perhaps you're in the next set.

7 MR. SADAR: Yes, exactly.

8 MR. MISENIS: Any others?

9 MR. MALONE: To both of you gentlemen, Bret,
10 did you consider the four kilometers a small enough
11 grid cell size for your project? I'm assuming you're
12 talking about somewhere up in the Sandlin Mountains.

13 And, two, to your comment about you want to
14 get the distribution right, my concern is -- is a
15 little bit further north, along I-70, right now it's
16 pretty quiet, but in the past, it's -- they had lots
17 of gas development and it's expected at some point in
18 the future they will again where the valleys are 500
19 meters across at best. If you have a distribution
20 that is still going to ping up against the sidewall,
21 how do you model that without getting impacts that are
22 unbelievably high?

23 DR. BRASHERS: Higher resolution pretty much.
24 I mean, if -- if you figure that -- well, it's kind of
25 consistent with the idea of how closely you -- you

1 space your receptors downwind of the Gaussian plume.
2 You want to have three to five points across the
3 Gaussian distribution, right?

4 So if you figure a -- a valley is something
5 like an upside Gaussian distribution, you might have
6 at least three points across the valley. So if it's
7 on -- if it's a tight enough valley, it's 500 meter
8 resolution, you should probably go put in a met tower.

9 MR. MALONE: That's what I currently argued,
10 but I just wanted to hear other people's opinion.

11 DR. BRASHERS: It's -- it's pretty hard to get
12 WRF to run at 100 meter resolution. I've done it at
13 300 meter resolution for Norwegian fjords and that was
14 pretty challenging.

15 MR. MALONE: I got some hope from Allegheny
16 County. A couple of years ago a representative showed
17 some stuff and -- along some river valley and that was
18 much more representative than up until that point I
19 thought was possible. But -- so I was curious, Bret,
20 was the four kilometer good enough?

21 MR. ANDERSON: I -- I can't answer that
22 question because we never got to use it. So we never
23 got to the point of actually doing a -- you know, an
24 evaluation of it. But I -- I think philosophically I
25 would -- you know, I'd like to address -- because

1 similar to Bart, we had a -- we had a court case that
2 we were working on in northern Arizona a number of
3 years ago where we had -- and Lyle Chinkin in the
4 audience knows what I'm referring to here. And it's,
5 like, you know, we had a really bad -- you know, it
6 was a SNOTEL site that was being used to drive AERMOD
7 to deposition work. And we had, you know, large
8 chunks of missing data that were out of the observed
9 dataset. So we ended up having to run -- we ended up
10 running WRF at 200 meter resolution for an entire
11 winter ski season and were doing, you know, deposition
12 modeling on the face of a ski resort.

13 And, anyway, we -- we faced that same
14 challenge that you were talking about in terms of
15 getting -- getting the appropriate resolution but also
16 how do I evaluate -- how do I know if this is good
17 enough, because I -- if I had observations, I'd use
18 them. Since I don't have observations, there's a
19 reason why I'm running WRF.

20 And we -- you know, what we did was we came up
21 with a -- came up with a kind of philosophical
22 paradigm of saying, first of all, we would -- we would
23 compare the outer domains. So, you know, we started
24 off at, like, a 16 kilometer outer domain and worked
25 our way down to a 200 meter resolution at the finest

1 domain over a 20 kilometer area. And in the areas
2 where we -- we had -- we had a sufficient number of
3 observations in the outer domains -- you know, the
4 three outer domains. And so we compared performance
5 at each of the three inner -- you know, outer domains
6 against not only the observations but we also compared
7 that in this -- against other modeling runs of both
8 MM5 and WRF that had been done for the same area for
9 the same time period and looking at -- you know,
10 looking at how they statistically performed; you know,
11 how they -- how they compared from one study to the
12 other to kind of get us a benchmark of, you know, are
13 we in the ballpark of sanity in doing those sort of
14 things. And is -- that's one of the -- one of the
15 things that you have to -- you know, in transitioning
16 towards the use of prognostic data, it's probably a
17 little less of an issue when you're talking about 3D,
18 like, with -- you know, using a three-dimensional
19 model. But it -- it's really -- conceptually, it's
20 difficult to get a handle on when you're trying --
21 when you're talking about using meteorology for a
22 single site and, you know, how do I -- how do I --
23 what grid resolution do I use, are the physics options
24 I'm using appropriate and things like that. It's a
25 kind of a -- you know, you're really focusing on --

1 you're focusing on the microscale and you're extracting
2 for a single site and doing it that way. And so
3 that -- there's a lot more consideration that has to
4 go into, you know, if you're modeling in areas of
5 complex terrain and you're extracting for a single
6 site. To me, that -- that imposes an even bigger
7 challenge on the person that's actually developing the
8 meteorology in that area. I know that doesn't answer
9 your question, you know, but there isn't -- there
10 isn't a good way to evaluate these things because,
11 just like I said, it's kind of a -- it's kind of a
12 Catch-22 argument. If I had the observations, I'd be
13 using them, but I don't have it, so I have to -- I
14 have to rely upon a lot of sound judgment, like what
15 Bart was talking about, is making sure that I have
16 a -- you know, that resolution is sufficient to
17 resolve the, you know, terrain feature, the graphic
18 feature that you're concerned about and that you have
19 the appropriate selection of physics packages, you
20 know, that you're concerned about, you know, stable
21 nighttime boundary layer. You know, there are certain
22 options that you would choose inside the prognostic
23 model to do that versus, you know, if you were
24 running, you know, at a 12 kilometer conus where you
25 were, you know, worried -- they're generally concerned

1 about, you know, just, you know, model speed in order
2 to produce a solution rather than focusing on, you
3 know, the -- the microclimate of a particular
4 environment and selecting physics packages tailored to
5 what -- you know, what the issue of concern is. And
6 so I'm done babbling.

7 MR. MISENIS: Thank you. He was trying to run
8 out the clock. Any other questions?

9 No. Well, please join me in showing our
10 panel --

11 MR. BRIDGERS: So as promised, we kept the
12 time. And thank you to everyone across the day for
13 your attention. We thank all the panelists again for
14 their insight and their comments. We will start again
15 tomorrow at 8:30. We have one more panel. It will be
16 an exciting panel, I think, on near field and long
17 range transport-related evaluation criteria. And then
18 we have a few more presentations by the EPA before we
19 have the rest of the public hearing.

20 And so with that, I will close the public
21 hearing for the day and see everybody back at 8:30.

STATE OF NORTH CAROLINA


COUNTY OF FRANKLIN

CERTIFICATE

I, PATRICIA C. ELLIOTT, VERBATIM REPORTER AND NOTARY PUBLIC, DO HEREBY CERTIFY THAT THE FOREGOING PAGES REPRESENT A TRUE AND ACCURATE TRANSCRIPT OF THE PROCEEDINGS HELD AT THE UNITED STATES ENVIRONMENTAL PROTECTION AGENCY IN RESEARCH TRIANGLE PARK, NORTH CAROLINA, ON WEDNESDAY, OCTOBER 2, 2019.

I FURTHER CERTIFY THAT I AM NOT EMPLOYED BY OR RELATED TO ANY PARTY TO THIS ACTION BY BLOOD OR MARRIAGE AND THAT I AM IN NO WAY INTERESTED IN THE OUTCOME OF THIS MATTER.

IN WITNESS WHEREOF, I HAVE HEREUNTO SET MY HAND
THIS 9th DAY OF DECEMBER, 2019.

/S/ 

PATRICIA C. ELLIOTT
NOTARY PUBLIC
NOTARY #19940480043

