

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22

Environmental Protection Agency

Unconventional Oil and Gas Pre Treatment

1:04 p.m. to 1:37 p.m.

Friday, May 29, 2015

Environmental Protection Agency

1201 Constitution Avenue, N.W.

Room 1153

Washington, DC 20004

OLENDER REPORTING, INC.
1100 Connecticut Avenue NW, #810, Washington, DC 20036
Washington: 202-898-1108 • Baltimore: 410-752-3376
Toll Free: 888-445-3376

1 EPA Panel:

2 **JAN MATUSZKO**, U.S. EPA, Office of Water,
3 Engineering and Analysis Division, Chief,
4 Engineering and Analytical Support Branch

5 **LISA BIDDLE**, U.S. EPA, Office of Water,
6 Engineering and Analysis Division, Project
7 Lead

8 **ERIC STRASSLER**, U.S. EPA, Office of Water,
9 Engineering and Analysis Division,
10 Environmental Protection Specialist

11

12

13

14

15

16

17

18

19

20

21

22

1	C O N T E N T S	
2		PAGE
3	Jan Matuszko , Introduction	4
4	Eric Strassler , Opening Remarks	5
5	Elizabeth Glass Geltman , Assistant Professor	6
6	and Director of Environmental and	
7	Occupational Health Services, Hunter	
8	College & City University of New York	
9	School of Public Health	
10	John Noël , Clean Water Action	14
11		
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		

1 website. Once we get it from the transcriber,
2 we'll be putting it on our website so that others
3 can also see what you wanted to communicate
4 today.

5 In addition, we encourage everyone to
6 submit written comments. We recently extended
7 the comment period to July 17th. So that's now
8 the last date we'll accept public written
9 comments. We will have a Federal Register Notice
10 announcing that extension likely next week -- any
11 day now. And for more information on how to
12 submit written comments, please see the proposal.

13 And with that, again, thank you for your
14 interest in the rule, and I'll turn it over to
15 Eric.

16 MR. STRASSLER: Good afternoon. Just
17 some administrative things -- restrooms are off
18 the lobby. If you need to find the restroom,
19 just ask the staff outside, and they'll escort
20 you.

21 And please turn off cell phones and any
22 other noisemaking devices or put them on vibrate.

1 Thank you.

2 So, we have a registration list. We have
3 one speaker at this point. So, Elizabeth Glass,
4 you'll be first. State your name and
5 organization when you start. Thank you.

6 MS. GELTMAN: Good afternoon. My name is
7 Elizabeth Glass Geltman, and I am an Associate
8 Professor and Director of Environmental and
9 Occupational Health Sciences at Hunter College
10 and the City University of New York School of
11 Public Health. I am also an attorney with 30
12 years experience in environmental law and policy.

13 I applaud and encourage efforts by U.S.
14 EPA to regulate pre treatment standards of
15 performance for unconventional oil and gas
16 extraction in both existing and new sources.
17 While oil and gas drilling began in the east
18 coast in 1821, vast expansion of drilling in the
19 Marcellus in the last eight years has transformed
20 the east coast landscape. Large swaths of land
21 that used to be rural agrarian are now peppered
22 with heavy industry constructed to drill natural

1 gas.

2 The hydraulic fracturing portion of the
3 extraction process requires the use of vast
4 quantities of water, coupled with sand, and a
5 list of chemicals that are often concealed from
6 both regulators and the public in both name and
7 in quantity in order to preserve trade secrets.
8 Chemicals aside, flowback water typically
9 includes TDS and radioactivity.

10 Federal pre treatment regulations of oil
11 and gas wastewaters are extremely important to
12 protect drinking water sources as well as to
13 protect workers at our POTWs.

14 With the advent of groundbreaking
15 technology comes new challenges. Discard of
16 produced and flowback waters from oil and gas
17 drilling operations remains an extremely
18 important challenge that must be addressed to
19 protect public health.

20 Studies now demonstrate that there are
21 significant environmental and health risks
22 associated with the current disposal methods for

1 flowback and produced waters. Underground
2 injection of oil and gas wastes is strongly
3 correlated with seismic activity. TDS are
4 elevated in waters by POTWs accepting oil and gas
5 wastes. TENORM is often found in wastewaters and
6 was found in waters downstream of drilling sites
7 and in muds, and sludges, and fill from oil gas
8 waste sent to landfills.

9 While the extent of waste sent to POTWs
10 is not well documented, the practice has been
11 used in the Marcellus shale in Pennsylvania,
12 Ohio, and West Virginia. U.S. residents cannot
13 rely on state oil and gas laws to protect the
14 water supply of downstream neighbors. Federal
15 regulation is needed.

16 For example, although Pennsylvania
17 promulgated wastewater treatment effluent
18 standards that targeted TDS and chloride in 2010,
19 Chapter 95 regulations only apply to new or
20 renovated facilities. Facilities permitted prior
21 to the promulgation of Chapter 95 were exempt.

22 POTWs in Pennsylvania can and indeed must

1 continue accepting oil and gas wastewater from
2 grandfathered facilities even if acceptance
3 results in a discharge of effluent high in TDS
4 and exceeding the limit set by Chapter 95.

5 Well, a growing, robust domestic energy
6 supply is a national security interest. Ensuring
7 clean, safe drinking water is also an elemental
8 human right and need. Promulgating pre treatment
9 regulations for new and existing sources that
10 require no discharge of pollutants is an
11 extremely important step in maintaining public
12 health and safety.

13 Like all regulations, however, the devil
14 is in the details. And in my remaining minute
15 I'd like to address three points that are in need
16 of clarification. First, the pre treatment
17 regulations should clearly specify that TENORM is
18 a regulated pollutant requiring discharge no
19 greater than background levels.

20 Drilling operators should be required to
21 survey wastewater for radiation before delivery
22 to the POTW. And that's important for both

1 public health reasons, water safety reasons, and
2 especially important for workers at the POTWs.

3 Second, the pre treatment standards
4 should not differentiate between conventional and
5 unconventional oil and gas drilling operations.
6 Rather, the standard should require no discharge
7 of a pollutant from oil and gas operations
8 regardless of source.

9 EPA emphasis should be on ensuring that
10 the oil and gas operators pre treat wastes to
11 ensure water safety and not on what type of oil
12 and gas operation is generating those wastes.
13 Simply said, all waste delivered to POTWs from
14 oil and gas operations should be subject to pre
15 treatment standards regardless of whether the
16 source is a conventional or an unconventional
17 well.

18 And this is important not just for
19 current technology but as we move forward and we
20 have other technologies making sure that the
21 definition that's espoused is not limiting in
22 terms of what we're trying to do for protections.

1 Third, with regard to effective date, all
2 discharges from oil and gas operations should be
3 covered. The lesson from Pennsylvania Chapter 95
4 is that if existing sources are excluded -- and
5 we have a lot of them now -- the public may be
6 left without adequate protection of the water
7 supply.

8 Thank you for introducing this critical
9 piece of regulation and for giving me an
10 opportunity to sharing my insights and thoughts,
11 and I'm happy to take questions at any time.

12 MR. STRASSLER: Okay. Thank you.

13 At this time no other speakers -- no
14 other persons present have asked to speak or
15 registered to speak. If there is anybody else
16 who would like to, they should let the staff at
17 the desk know. And I guess we'll hang around for
18 a few minutes.

19 But as we said, we're not addressing
20 issues today ourselves. We're doing
21 presentations, so we will just wait here for a
22 few minutes and see if there is anybody else who

1 would like to speak.

2 MS. MATUSZKO: Actually, I should have
3 said -- and I apologize for not. I should have
4 introduced the people that are at the desk with
5 me.

6 Lisa Biddle is actually the Project
7 Manager for this -- for the rule that we're
8 discussing today. And Eric Strassler is one of
9 our comrades who helps us out with various things
10 --

11 MR. STRASSLER: Infield.

12 MS. MATUSZKO: -- including pre treatment
13 hearings.

14 MR. STRASSLER: Utility infield.

15 MS. MATUSZKO: Are there any of you that
16 are present that would prefer not to speak so
17 that you're -- you know, that it's being
18 transcribed but that you'd just like to speak to
19 us since we're here? Is there anything that you
20 want to communicate to us?

21 (No response.)

22 MS. MATUSZKO: Either, you know, in the

1 public forum or not, we're happy to speak to you
2 not in the -- not in a way that it's transcribed
3 as well.

4 MR. STRASSLER: Off the record.

5 MS. MATUSZKO: Off the record.

6 (Discussion off the record.)

7 MS. MATUSZKO: Okay. That concludes our
8 public hearing for the day. We will be here for
9 a couple more minutes if -- as I said, if any of
10 you want to talk to us -- quote -- off the
11 record.

12 Thanks for coming.

13 MR. STRASSLER: Thank you.

14 (Recess.)

15 MS. MATUSZKO: Well, we only had one
16 other speaker, and so we concluded, but if --
17 yeah, you're --

18 MS. BIDDLE: Go ahead.

19 MS. MATUSZKO: -- we're back on line if
20 you want to do it.

21 MS. BIDDLE: We're online. We'll
22 transcribe. We'll listen. Glad you're here.

1 MR. NOËL: Yeah. So nobody else --

2 MS. MATUSZKO: No.

3 MS. BIDDLE: Yeah, we had a few other
4 people here but nobody else that wanted to speak.

5 MR. NOËL: So, would I have like -- I'd
6 like two hours to talk?

7 MR. STRASSLER: Not quite.

8 (Laughter.)

9 MS. MATUSZKO: You have five minutes with
10 a little cushion.

11 MR. NOËL: Okay. I have it in, like,
12 five languages.

13 MR. STRASSLER: Please start with name
14 and organization.

15 MR. NOËL: Cool. My name is John Noël; I
16 work for Clean Water Action, the National Oil and
17 Gas Campaign's coordinator. I worked at the EPA
18 for four years before that in the Underground
19 Injection Control Program.

20 So this is a written statement. It's
21 more general in support, and then we'll -- we'll
22 submit more technical detailed comments to the

1 docket.

2 Clean Water Action appreciates the
3 opportunity to submit this statement, and we will
4 be submitting additional technical comments to
5 the docket. Clean Water Action works for strong
6 health and environmental protections and has a
7 long history of work on Clean Water Act
8 implementation.

9 We are a national citizens' organization
10 of one million members and are active in over a
11 dozen states, several of which we are engaged in
12 work to help address concerns on the impacts of
13 oil and gas development and on water resources.

14 The majority of our members live in
15 states that are on the forefront of oil and gas
16 drilling and will be directly impacted by the
17 policy being considered here today.

18 We strongly support the proposed rule
19 that establishes a zero discharge standard and
20 effectively prohibits the industry from sending
21 unconventional oil and gas wastewater to POTWs.
22 The rule provides a regulatory clarity to the

 OLENDER REPORTING, INC.
1100 Connecticut Avenue NW, #810, Washington, DC 20036
Washington: 202-898-1108 • Baltimore: 410-752-3376
Toll Free: 888-445-3376

1 industry and uses existing Clean Water Act
2 authorities to strengthen environmental
3 protections.

4 EPA's proposed rule is necessary because
5 POTWs were never designed to treat and discharge
6 wastewater created in modern oil and gas
7 development. The rule closes the gap in federal
8 regulations that leave local waterways vulnerable
9 to oil and gas wastewater pollution.

10 Discharges of wastewater to POTWs have
11 been documented to degrade water quality and
12 threaten drinking water sources for residents
13 living downstream. According to the Groundwater
14 Protection Council and the EPA's own analysis,
15 oil and gas wastewater contains constituents that
16 could interfere with POTW treatment processes or
17 slip through altogether at -- quote -- levels
18 detrimental to the receiving water body -- end
19 quote.

20 There are multiple contaminants contained
21 in oil and gas wastewater that threaten water
22 quality, aquatic ecosystems, and drinking water

1 resources. The impacts of high levels of total
2 dissolved solids, contaminants contributing to
3 disinfectant byproducts at downstream drinking
4 water intakes and radioactive materials are of
5 particular concern.

6 In 2008 the impacts of oil and gas
7 wastewater with very high salt contents
8 discharged into the Monongahela River in
9 Pennsylvania, created a dangerous situation in
10 which 13 drinking water intakes from West
11 Virginia to Pittsburgh violated water quality
12 parameters and put residents downstream at risk.

13 During the same period, studies by the
14 EPA and the Allegheny County Health Department
15 indicated that 17 drinking water intakes in the
16 Monongahela watershed were at risk of high levels
17 of disinfectant byproducts which are cancer
18 causing and development toxins.

19 Potential pass-through of bromines and
20 other disinfectant byproduct precursors can
21 increase public health risk for downstream
22 drinking water consumers and lead to treatment

1 complications and higher cost for downstream
2 public water systems.

3 Radioactivity is another threat to
4 surface water from wastewater discharges. Oil
5 and gas development, by its very nature, exposes
6 and then concentrates naturally occurring
7 radioactive material which, in return, is not
8 adequately removed by water treatment processes.

9 As a result, radioactive materials are
10 present in unconventional oil and gas wastewater
11 in potentially dangerous concentrations.
12 Specifically, highly concentrated levels of
13 radium have been detected in the sediment of
14 streams receiving oil and gas wastewater. Radium
15 can accumulate in the body and is considered to
16 pose a greater cancer risk than most other
17 radioactive elements.

18 We strongly urge EPA to finalize this
19 proposed rule and establish pretreatment
20 standards that would effectively prohibit on-
21 shore unconventional oil and gas extraction
22 discharges to POTWs.

1 Additionally, we encourage EPA to
2 expedite a rulemaking to update the ELGs for
3 conventional oil and gas facilities sending
4 wastewater to POTWs.

5 Research has shown there is minimal
6 difference between the constituents in
7 unconventional and conventional wastewater. High
8 TDS contents, precursors to disinfectant
9 byproducts and naturally occurring radioactive
10 materials are present in most wastewater
11 generated during oil and gas development and pose
12 the same challenges to POTWs.

13 Oil and gas wastewater discharges to
14 POTWs present unacceptable risks to drinking
15 water resources, wildlife, and public health.
16 This common sense rule ensures that the Clean
17 Water Act is updated to reflect the documented
18 hazards of modern oil and gas development
19 wastewater disposal methods.

20 Thank you for the opportunity to submit
21 this comment. Clean Water Action looks forward
22 to the EPA's publication of this final rule.

 OLENDER REPORTING, INC.
1100 Connecticut Avenue NW, #810, Washington, DC 20036
Washington: 202-898-1108 • Baltimore: 410-752-3376
Toll Free: 888-445-3376

1 I'm also going to take a selfie to
2 contribute to my EPA collection of testimony.

3 (Laughter.)

4 MS. MATUSZKO: Thank you very much.

5 MR. STRASSLER: That won't be on
6 Facebook, will it?

7 MR. NOËL: No.

8 MS. MATUSZKO: Does that going into the
9 transcript?

10 MR. NOËL: No.

11 MR. STRASSLER: It's not a federal
12 record, I hope.

13 MS. MATUSZKO: Thank you for the -- thank
14 you for your -- the information and for the good
15 laugh on a Friday afternoon.

16 MR. NOËL: Yeah, I totally agree. So
17 I'll just give these -- the hard copies -- to --

18 MS. MATUSZKO: Yeah. Great. Thank you.

19 MR. NOËL: Thank you.

20 MR. STRASSLER: We're about to wrap it
21 up, I think.

22 MS. MATUSZKO: Okay?

1 MR. STRASSLER: Yeah.

2 MS. MATUSZKO: Thanks.

3 MR. STRASSLER: That's all today. Thank
4 you.

5 (Whereupon, at 1:37 p.m. the public
6 hearing was concluded.)

7

8

9

10

11

12

13

14

15

16

17

18

19

20

21

22