

1 U.S. ENVIRONMENTAL PROTECTION AGENCY

2

3 PESTICIDE PROGRAM DIALOGUE COMMITTEE MEETING

4

5

6

7 Wednesday, May 8, 2019

8

9:00 a.m.

9

DAY ONE

10

11

12

13

14

15

16

17

18

19

20

21

22

23

24

25

PARTICIPANTS

- 1
- 2 Walter Alarcon
- 3 Amy Asmus
- 4 Steven Bennett
- 5 Pat Bishop
- 6 Laurie Ann Burd
- 7 Iris Figueroa
- 8 Jim Fredericks
- 9 Eric Gjevre
- 10 John Gorman
- 11 Richard Gragg
- 12 Aaron Hobbs
- 13 Eric Hoffman
- 14 Sheryl Kunickis
- 15 Dab Kunkel
- 16 Dominic LaJoie
- 17 Charlotte Liang
- 18 Amy Liebman
- 19 Allen McLaurin
- 20 Damon Reabe
- 21 Charlotte Sanson
- 22 Sharon Selvaggio
- 23 Donald Taylor
- 24 Andrew Thostenson

PARTICIPANTS (cont.)

1
2 Liza Trossbach
3 Tim Tucker
4 Jay Vroom
5 Edward Wakem
6 Andy Whittington
7 Nina Wilson
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

1 P R O C E E D I N G S

2 DAY ONE - MAY 8, 2019

3 MR. KEIGWIN: Good morning, everybody.

4 Welcome to the spring meeting of the Pesticide Program
5 Dialogue Committee. We're happy that you all were
6 able to join us today. We do have a few folks that
7 weren't able to join us, so hopefully you're seeing a
8 little bit more elbow room around the table today.
9 Some additional members will be joining us tomorrow.
10 I wanted to quickly just introduce to you all, you
11 should know both of them really well, but both of the
12 acting deputy officer directors for OPP, to my right
13 is Wynne Miller, who is the acting deputy for
14 management; and then to my left is Ed Messina, who is
15 the acting deputy for programs. So thank you to both
16 of them for joining us today.

17 I wanted to give you a couple of updates on
18 some other management changes that have taken place in
19 the Office of Pesticide Programs since our last
20 meeting. I think there's an updated organizational
21 chart in your folders, so just to highlight a few.
22 Steve Weiss has now been made the permanent deputy
23 division director in our Antimicrobials Division; Neil
24 Anderson is now the permanent deputy division director
25 in the Biological and Economic Analysis Division; Jan

1 Matuszko is now the acting associate division director
2 in the Environmental Fate and Effects Division; while
3 Kimberly Nesci is on detail as the acting director of
4 the Biological and Economic Analysis Division; while
5 Wynne is on detail to the position that she's in. So
6 a few musical chairs going on.

7 Billy Smith is currently acting as the acting
8 division director in the Pesticides Re-Evaluation
9 Division; Yu-Ting Guilaran, who is the permanent division
10 director, is currently on a detail for the next
11 several months to the Office of Ground Water and
12 Drinking Water in EPA's Office of Water. And then
13 just yesterday, we announced that Anne Overstreet, who
14 has been serving for the last year, approximately, as
15 the branch chief for the Certification and Worker
16 Protection Branch in the Field and External Affairs
17 Division has been named as the deputy division
18 director for Biopesticides and Pollution Prevention
19 Division.

20 So yet another example of lots of movement in
21 the program, but opportunities to continue to give
22 people in the office different leadership
23 opportunities and learn another aspect of the
24 pesticide program activities.

25 So I want to thank you all for your time and

1 effort in participating on the PPDC. It is a very
2 important role that you play in helping us move issues
3 forward, having a dialogue on at times what can be
4 some difficult topics, but difficult conversations
5 often times result in good advice for the Agency and
6 paths forward.

7 You'll see that we've tried to do something a
8 little bit different with this meeting's agenda. We
9 have fewer topics than we've had in the past. That is
10 in part due to some feedback that we've received to
11 try to provide some more opportunities for dialogue
12 across members of the PPDC. And so for those topic
13 areas that we won't cover directly today on the
14 agenda, we have included some one-page summaries to
15 give you all updates on those topics.

16 I want to just briefly review the agenda for
17 the meeting. We'll kick off the morning with an
18 update on the Pesticide Registration Improvement Act,
19 the fourth version of that, which passed Congress and
20 was signed by the President earlier this year, and we
21 have a specific set of charges, or questions for you
22 all to give us advice on certain aspects of the new
23 reporting provisions in PRIA 4.

24 We'll take a break, and then after the break,
25 we will receive a report from the Public Health

1 Workgroup under the PPDC. They've had a specific
2 charge over the past year to present a recommendation
3 on emergency preparedness planning, and then they also
4 have some suggestions for what other topics that
5 workgroup might work on in the future.

6 After lunch, we'll turn our attention to some new
7 provisions for which a number of federal agencies have
8 new responsibilities. We want to focus specifically
9 on the hemp title in the Farm Bill, and get some input
10 from you all on where we might go with some of our
11 early implementation efforts for that new title.

12 And then we will end the day with a follow-up
13 discussion from our last PPDC meeting regarding
14 unmanned aerial vehicles, and again, an area where
15 we'll be seeking input from PPDC members on how to
16 move forward in developing some policy regarding the
17 use of UAVs in pesticide application. And then we'll
18 end the day with a public comment period.

19 And then tomorrow morning, Alex Dunn, who was
20 confirmed as our Assistant Administrator for the
21 Office of Chemical Safety and Pollution Prevention at
22 the very beginning of the year, will join us for some
23 opening remarks. For those of you who have met Alex,
24 you know and you've experienced the energy and
25 enthusiasm that she has for environmental protection

1 and environmental justice, and for those of you who
2 haven't had the pleasure of meeting or hearing her, I
3 think you will soon share that sentiment that she is a
4 great addition to EPA and specifically OCSPP.

5 We will then have a presentation from our
6 Biopesticides and Pollution Prevention Division
7 regarding some draft guidance that we've recently
8 issued regarding plant biostimulants, and this is an
9 area where we're currently in a public comment period,
10 but we thought this would be an opportunity to answer
11 questions from the PPDC members that could potentially
12 help inform any public comments you wanted to submit
13 in response to that open public comment period.

14 And then after a break, we wanted to have a
15 discussion with you all about how we could strengthen
16 the effectiveness of the PPDC, particularly as we work
17 on a rechartering of the PPDC that has to happen this
18 year, as well as a solicitation for new membership.

19 So even though we have fewer topics, we think
20 it's a very robust agenda, and we're looking forward
21 to receiving your advice today.

22 A couple of housekeeping measures. If you
23 haven't had the opportunity yet, please sign in at the
24 registration desk. You can do that at the break. And
25 we ask that not just members of the PPDC, but members

1 of the public do that.

2 Same type of system as we've had before
3 regarding the audio system. If the red light is on,
4 it means your mic is live. When you want to make a
5 remark or ask a question, turn the tent cards up. The
6 teleconference line is open and we do have a couple of
7 PPDC members that are participating today remotely.
8 So when we do the go-around, we will start with them
9 so that you know who's on the line remotely.

10 We do have a global mute on the line, but
11 when a member wants to speak, we will mute and unmute
12 so that they can speak. And then for members of the
13 public who are joining us today, we will have public
14 comment sessions, both this afternoon and then again
15 tomorrow morning. If you're interested in making a
16 public comment on any of the topics that we discuss
17 today, or any other topic, please sign up at the
18 registration desk and we will hear your comments
19 during the designated public comment periods.

20 And then, finally, just a reminder that in
21 the event of an emergency, please note that there's an
22 emergency exit door here at the front of the room.
23 It's this door right here that looks like it's covered
24 up by a shade, but that is the emergency exit.

25 So with that, if we could do member

1 introductions and let's start with PPDC members that
2 are on the phone.

3 MR. THOSTENSON: This is Andrew Thostenson
4 with North Dakota State University in Fargo, North
5 Dakota, representing the American Association of
6 Pesticide Safety Educators.

7 MR. GRAGG: This is Richard Gragg at Florida
8 A&M University in Tallahassee, Florida.

9 MS. FIGUEROA: Iris Figueroa from Farmworker
10 Justice.

11 MR. KEIGWIN: Thank you to Andrew, Richard
12 and Iris. I think those were the three individuals
13 that we had participating remotely. And then let's
14 start with Cheryl.

15 MS. KUNICKIS: I'm Cheryl Kunickis, I'm the
16 director in the Office of Pest Management Policy at
17 USDA.

18 MR. GJEVRE: Eric Gjevre representing the
19 Tribal Pesticide Program Council, Coeur d'Alene,
20 Idaho.

21 MS. TROSSBACH: Good morning. I'm Liza
22 Fleeson Trossbach with the Virginia Department of
23 Agriculture and Consumer Services and I'm representing
24 the Association of American Pesticide Control
25 Officials, or AAPCO.

1 MS. LIANG: Charlotte Liang, U.S. Food and
2 Drug Administration, Office of Food Safety.

3 MR. ALARCON: I'm Walter Alarcon, CDC NIOSH.

4 MS. ASMUS: Amy Asmus from Asmus Farm Supply
5 in North Central Iowa representing the Weed Science
6 Society of America.

7 MR. WAKEM: Edward Wakem with the American
8 Veterinary Medical Association.

9 MR. BENNETT: Steve Bennett with the
10 Household & Commercial Products Association.

11 MS. SANSON: Charlotte Sanson with ADAMA
12 representing the Commission on Crop Protection
13 Industry.

14 MS. BISHOP: Patricia Bishop with the Humane
15 Society of the U.S.

16 MS. LIEBMAN: Good morning. I'm Amy Liebman
17 with the Migrant Clinicians Network.

18 MS. WILSON: Hi, I'm Nina Wilson with Gowan
19 Company representing the Biological Products Industry
20 Alliance.

21 MR. VROOM: Hi, I'm Jay Vroom, retired from
22 CropLife America, still a PPDC member. I am now
23 consulting for a variety of agribusiness technology
24 companies. Pleased to be here.

25 One of my volunteer jobs in retirement is I'm

1 the gardener at USDA. If you don't know, there's a
2 garden nearby the USDA headquarters building, and in
3 partnership with the Farm Journal Foundation, we're
4 bringing some private sector engagement to the garden
5 demonstration. All 26 Farmers Market Fridays this
6 year will have special features around the garden that
7 expand the public outreach with regard to modern
8 agriculture there, and if you're interested to know
9 more about that, see me, please.

10 MR. WHITTINGTON: Andy Whittington with the
11 Mississippi Farm Bureau FEDERATION representing
12 American Farm Bureau Federation.

13 MR. LAJOIE: Good morning. I'm Dominic
14 LaJoie, I'm a farmer from Maine, I'm representing the
15 National Potato Council.

16 MR. HOBBS: Aaron Hobbs of RISE.

17 MR. HOFFMAN: Eric Hoffman, Armed Forces Pest
18 Management Board.

19 MR. MCLAURIN: My name is Allen McLaurin, I'm
20 a cotton farmer from North Carolina, I'm representing
21 the National Cotton Council.

22 MR. TUCKER: I'm Tim Tucker from Kansas and I
23 represent the American Beekeeping Federation and
24 really all beekeepers large and small across the
25 country.

1 MS. SELVAGGIO: I'm Sharon Selvaggio with the
2 Northwest Center for Alternatives to Pesticides.

3 MR. TAYLOR: Donny Taylor, Ag Retailers
4 Association.

5 MR. KUNKEL: Dan Kunkel, IR-4 project,
6 Rutgers University.

7 MR. REABE: Damon Reabe, I'm an aerial
8 applicator from Wisconsin representing the National
9 Agricultural Aviation Association.

10 MR. GORMAN: John Gorman, I'm the chief of
11 pesticides and toxics in EPA Region 2 and I'm here
12 representing the regional offices of EPA.

13 MR. SCHAIBLE: Steve Schaible, PRIA
14 coordinator for Office of Pesticide Programs.

15 MR. KEIGWIN: Okay, so it sounds like we have
16 two mics that are not working, so we will switch them
17 out, but maybe for this first session, Tim, if there's
18 a -- is there a portable that we can use so that you,
19 Sharon and Laurie Ann and John, any comments that they
20 have, we can all hear.

21 So our first topic is going to be an update
22 on what's new in PRIA 4, the Pesticide Registration
23 Improvement Act. So Steve is going to walk you
24 through an overview of the changes between PRIA 3 and
25 PRIA 4, and then as I noted in my opening remarks,

1 PRIA 4 has some new reporting language that we need to
2 include in our annual report, and a good part of those
3 new reporting requirements focus on measuring the
4 effectiveness of our worker safety programs that are
5 funded through a set-aside from the fee account.

6 So as we embark upon addressing those new
7 requirements for the annual report that will issue in
8 the spring of 2020, we wanted to get some input from
9 you all on how we might go about beginning to collect
10 that information. So with that, let me turn things
11 over to Steve.

12 MR. SCHAIBLE: Thank you. And good morning,
13 everybody.

14 So, yeah, so we're going to go through what
15 are the new provisions of PRIA 4. Just to start off,
16 I'd like to thank all the different stakeholders in
17 this room that were instrumental in getting PRIA 4 to
18 the finish line. It's good having it in place instead
19 of waiting to see if it would get into place.

20 So PRIA 4, the Pesticide Registration
21 Improvement Extension Act of 2018, that was signed
22 into law by the President on March 8th of 2019. It
23 re-authorizes PRIA for five years starting in March of
24 this year and going through fiscal year 2023. One of
25 the provisions is that it extends prohibition on

1 collection of fees, registration fees, as well as
2 tolerance fees that were in place. So those fees
3 cannot be collected for the duration of the fee
4 collection under the PRIA registration service fees.

5 Prior to PRIA 4, there's historical language
6 under Section 5 of FIFRA that talked about completing
7 experimental use permits in I think it was 180 days.
8 That was not congruous with the PRIA time frames we
9 had for the EP categories for new EI categories,
10 they're as much as I think 21 months. So we -- the
11 language was revised in Section 5 to refer to the time
12 frames in the fee tables.

13 So PRIA extends the -- so PRIA extends two
14 fee authorities. The first I'm going to talk about is
15 the registration fee authority, service fee authority.
16 That was extended again for five years. The number of
17 categories was increased from 189 categories in PRIA 3
18 to 212 categories under PRIA 4. So this continues the
19 expansion each time we re-authorize to more and more
20 categories.

21 So category changes I want to highlight.
22 These are not all the changes that occurred under PRIA
23 4. The first is there were no amended categories to
24 capture increased number of target passes for which we
25 are receiving data. This is for public health tests.

1 And so these would relate to the invertebrate tests
2 and vertebrate tests that RD handles, as well as the
3 different organisms that AD handles. And basically,
4 as the number of tests or organisms involved in their
5 view increases, there are categories that have
6 increases in time and in fee collection for those
7 categories.

8 Likewise, a very similar dynamic exists for
9 combination products. There was a category under PRIA
10 3, R314, that handled new product registrations that
11 involved combinations of active ingredients that had
12 never been registered in combination before. This is
13 to reflect that we're looking at multiple chemicals
14 and labels for all the registered products under each
15 of those chemicals and making sure that the most
16 protective language for each of those actives is on
17 the combination product.

18 So going through the course of PRIA 3, we
19 started seeing more and more instances of products
20 that had combinations of seven or eight active
21 ingredients and we were finding that we were having to
22 negotiate those actions because there were so many
23 active ingredients involved. And so we created a
24 number of categories to reflect the increase in the
25 number of AIs being considered in those products.

1 The R292 category, this is a tolerance
2 amendment. The definition of that category has
3 expanded to include the activity of harmonizing
4 existing tolerances to align with Codex MRLs. This is
5 where there is no information on the label or no new
6 data being submitted that would require science
7 review. Basically it's an exercise where if you have
8 an active ingredient and there were seven existing
9 tolerance for which Codex MRLs exist, which are not in
10 alignment with BS tolerances, under the single R292,
11 you can get all of those aligned to match the Codex
12 MRLs, or the Agency will evaluate the feasibility of
13 that.

14 There were new experimental use permit
15 categories created for AD, BPPD and RD categories.
16 The AD A codes were sort of across the board modified
17 to be consistent with part 158W, the definitions of
18 indirect, direct and nonfood. Those categories also
19 were streamlined and there are actually fewer AD
20 categories under PRIA 4 than there were under PRIA 3.

21 New fifth categories were created under the V
22 codes. For the inert safener categories, there were
23 not categories under PRIA 3 for inert safeners.
24 Safeners are inert that protect the target crop from
25 herbicide application while allowing targeted -- while

1 targeting the weeds. So these typically involve large
2 data sets, data sets that are more in alignment with
3 new active ingredient applications, and require the
4 full new AI type risk assessment on the Agency's part
5 to make the determination on whether they would be
6 cleared or not.

7 So the categories under PRIA 3 were -- we
8 were having to negotiate every time we had a safener
9 come in. And so these categories were created to
10 allow the time and the resources to conduct the review
11 of those without necessarily having to negotiate.

12 Also, the inert categories as a whole were
13 introduced in PRIA 3, and I think through the
14 experience of PRIA 3, we were able to determine which
15 categories did we get it right on as far as the time
16 it took to do them, and where there were categories
17 that we were consistently having to negotiate the due
18 date. In PRIA 4, the recommendation was made to
19 increase the time and/or money for those categories.
20 So basically we were able to leverage the experience
21 we gained under PRIA 3 to adjust the category times
22 and fees.

23 There were two categories that were created
24 under the miscellaneous table. The first is for
25 non-FIFRA regulated determinations. And so examples

1 of these would be minimum risk determinations under
2 25B, treated article exemptions, device
3 determinations. And so those are three that I think
4 we feel the main engagement is going to be. There may
5 be others. I think that's something that if you think
6 there's something that would fit under this, certainly
7 reach out to us and we would be willing to have that
8 conversation.

9 The second is a conditional ruling on a
10 pre-application of substantial similarity
11 determination. And so this is something where for
12 your me-too new product categories, there is an
13 expedited time frame for AD, BPPD and RD categories.
14 If you wished, you could submit the information before
15 your registration application and we would make a
16 determination from the materials that you submitted on
17 whether it seems that the substantial similarity was
18 supported based on the information provided.

19 Both the non-FIFRA determination and the
20 substantial similarity determination are voluntary
21 activities. That's not something that you have to do.
22 I think that the people that were in favor of either
23 of these -- well, certainly under the substantial
24 similarity, were interested in having more certainty
25 around what the time frame might be before they

1 submitted the actual section 3 registration
2 application.

3 So if you have a similarity determination
4 from the Agency, and you're submitting the same
5 information to support your registration application,
6 the answer, you know, logically should be the same
7 answer instead of having it recoded as a nonexpedited
8 category once you submit the section 3.

9 With regard to gold seal letters, these are
10 one-month activities where a registrant is submitting
11 a request to the Agency for documentation that a
12 pesticide is registered in the U.S., is currently
13 registered in the U.S. Given that it only takes one
14 month and that the category was \$253, the amount of
15 resources it took us to make the small business waiver
16 determination was more than the fee. So PRIA 4
17 eliminates the small business waiver.

18 The clean label resolution time period
19 process is introduced in PRIA 3, and applied to
20 intermicrobial actions, and conventional actions under
21 the R codes under PRIA 3 was expanded to now include
22 biopesticides that have label considerations.

23 PRIA 4 allows for two 5 percent increases.
24 The first is going to start at the beginning of FY20
25 and will run through FY21. And the second will begin

1 in the beginning of FY22 and run through FY23.

2 PRIA 4 extends the PRIA 3 setasides through
3 2023 for the worker protection activities. The amount
4 there is 1/17th of the fund but not less than one
5 million per year. Typically we've been putting one
6 million a year towards those activities and those crop
7 root agreements.

8 The second is a \$500,000 setaside per year
9 for partnership grants, and the third is \$500,000 a
10 year for pesticide safety education program.

11 So now I want to move on to maintenance fees
12 and changes for maintenance fees under PRIA 4. PRIA 4
13 extends the maintenance fee collection authority for
14 five years, going from FY19 to the remainder of '19
15 through FY2023. PRIA 4 extends the maintenance fee
16 collection target under PRIA 3, or it increases it,
17 sorry. Under PRIA 3, it was \$27.8 million a year, and
18 that is increased \$3.2 million to \$31 million per
19 year.

20 For FY19, we had already invoiced for
21 maintenance fees back in December under the PRIA 3
22 extended authority through the continuing resolution.
23 And so we are going to maintain that target for this
24 year.

25 PRIA 4 also includes a provision that allows

1 AE to average across years within PRIA 4 to correct
2 for over or undercollection in previous years. And so
3 I think the intention on our part is to take that \$3.2
4 million that was not invoiced for in FY19 and to
5 extend that or to average that for an additional
6 \$800,000 a year for the remaining four years of PRIA
7 4.

8 PRIA 4 eliminates the appropriations
9 constraint on spending maintenance fees. This is
10 called the one-to-one provision, and basically what it
11 said was that before the EPA had to spend a dollar of
12 appropriations if we were going to spend a dollar of
13 the maintenance fees. And this had the unintended
14 consequence over the last many years of building up a
15 maintenance fee backlog or surplus. At the end of
16 FY18, it was around \$44 million. So now that this
17 constraint is removed, we will be able to more fully
18 access those maintenance fees and we're developing a
19 spend down plan which a large part of which will be
20 putting those monies towards meeting our statutory
21 obligations to complete reg review for the first round
22 by September 2022.

23 PRIA 4 raises annual fee caps for
24 registrants, including small businesses. Also for
25 maintenance fee changes under PRIA 4, PRIA 4 specifies

1 those fees can explicitly be used for reg reviews to
2 offset the costs of endangered species assessments.
3 This is something that I think where we were engaged
4 in endangered species activities under PRIA 3, we were
5 doing it, but now the law clearly says that that is
6 something that we can use those maintenance fees
7 towards.

8 The setaside for review of inert ingredients
9 and the expedited processing of substantial similarity
10 applications and public health pesticide applications,
11 that's a setaside of between 1/9th and 1/8th of fees
12 collected in a year goes towards those activities.
13 PRIA 4 extends that setaside.

14 The IT setaside that was established in PRIA
15 3, and this was a setaside of up to \$800,000 per year
16 for a number of IT activities which were improving the
17 electronic tracking of registration submissions and
18 electronic tracking of conditional registrations.
19 Also the electronic review of labels, e-CSF, and
20 endangered species knowledge database enhancements.
21 So that setaside goes away, but we do have a remainder
22 of that setaside money that we're continuing to
23 utilize, and in our PRIA annual report, we will be
24 indicating what amount is spent each year, as well as
25 what it was spent on.

1 The IT setaside is replaced with a new
2 setaside of up to \$500,000 a year to support efficacy
3 guideline development and rulemaking for invertebrate
4 pests of significant public health or economic
5 importance. And so these, as an example I think
6 there's a bedbug guidelines, premises. So there's
7 five different deliverables there.

8 PRIA 4 also lays out a mandatory schedule for
9 when those activities will be completed. And so this
10 will be taking these draft guidances to the SAP and
11 putting out for public comment, and then based on the
12 feedback we get from SAP and the public, then
13 finalizing that guidance and instituting rulemaking to
14 formalize those.

15 The new setasides is created also for -- to
16 support GLP inspections. GLP is good laboratory
17 practice inspections, and so that's up to \$500,000 a
18 year as well. PRIA 4 specifies that EPA will provide
19 a preliminary summary of inspection observations to be
20 provided to the laboratory not more than 60 days after
21 the completion of the inspection. And this is
22 somewhat of an anomaly of how PRIA 4 went through
23 Congress, but those two setasides are actually
24 authorized for six years, starting in FY18, through
25 2023, and in practice, we will -- well, I won't get

1 into that. But yeah, we think we'll probably be
2 funding it for the five years, '19 through 2023,
3 because the law indicated that we shall not spend more
4 than those amounts.

5 Next I want to talk about some of the
6 reporting requirements in PRIA 4, the new reporting
7 requirements for PRIA 4. The first I want to talk
8 about is reporting requirements for registration
9 review decision capture requirements. And so as we
10 have been moving through reg review, we have completed
11 our work plans and we're now into the stage where
12 we're getting some of these interim decisions
13 completed, and instituting -- as we're further down
14 through the steps of reg review, we're reporting out
15 on our progress. And so the first is the number of
16 reg review cases that have been cancelled. Also reg
17 review cases with risk mitigation, with mitigation
18 rolled back, cases that did not need mitigation, and
19 finally, the number of cases fully implemented.

20 So this is something that we have been
21 working on internally. The prism module under which
22 we track reg review cases, a module was developed to
23 capture these decisions, training and -- so population
24 of that module has been ongoing, training has been
25 ongoing, and we're currently developing reports that

1 will be able to provide this information to managers,
2 both for the annual report, but also for tracking
3 throughout the year.

4 There is a reporting requirement on the
5 description of the amount and the use of the PRIA
6 setaside funds. So this is -- these are the existing
7 -- these are in PRIA 3 as well, but, you know, what
8 were the setaside funds that were spent each year
9 towards the \$1 million or up to \$1 million for the
10 worker protection, for the partnership grant and for
11 the PSF program, but there's also some new reporting
12 requirements, and this is what our charge questions
13 are directed towards.

14 The first is the EPA is to provide an
15 evaluation of the appropriateness and effectiveness of
16 the activities, grants and the PSF program. The
17 second is a description of how stakeholders are
18 engaged in the decision to fund some activities,
19 grants and the program. And finally, and this is with
20 respect to the worker protection activity setaside, a
21 summary of the analyses provided by stakeholders,
22 including the community-based organizations, on the
23 appropriateness and the effectiveness of such
24 activities.

25 Would you guys like me to go through that

1 again, given that you weren't looking at it? Sorry
2 about that. Maybe I should delegate the advancing. I
3 lost my privileges.

4 So moving on to some other requirements. The
5 IT setaside requirement, I did speak about that
6 previously. Though the setaside does not exist under
7 PRIA 4, we will continue to report out on the monies
8 spent under that setaside until that setaside is drawn
9 down.

10 There is a reporting requirement to identify
11 reforms to streamline new AI and new use processes,
12 and to provide prompt feedback on applicants during
13 the process. Secondly, we'll report on the progress
14 in meeting a mandatory schedule and developing the
15 efficacy guidelines for invertebrate pests of
16 significant public health and/or economic importance.
17 So this is the other setaside. Basically we'll be
18 reporting out on whether or not we are meeting the
19 deadlines prescribed in the law.

20 Also, the number of GLP inspections and
21 audits conducted. And so this speaks to the GLP
22 setaside on enhancing that program. On the ground I
23 think what that's going to look like is we will be
24 hiring up some additional people using that money and
25 the number of inspections will increase.

1 There's a reporting requirement on the
2 progress and priority review and approval of new
3 pesticides to control invertebrate public health pests
4 that may transmit vector-borne disease for use in the
5 U.S. This includes the U.S. territories and also U.S.
6 military installations globally. And so these will be
7 new chemicals, new uses, new products across the
8 board. We'll be reporting where we are registering
9 tools that can meet that need.

10 PRIA 4 -- Section 6 and Section 7 of PRIA 4
11 is a provision that stipulates that EPA from the date
12 of enactment through 20 -- FY20 will fully implement
13 the Agricultural Worker Protection Standard Revision
14 Final Rule published in November of '15, as well as
15 the Certification of Pesticide Applicators Final Rule
16 that was published in January of '17.

17 The EPA shall not revise or develop revisions
18 to these rules, with the exception being that EPA may
19 propose and after a notice and public comment of not
20 less than 90 days promulgate revisions to the WPS rule
21 relating to the application exclusion zones. And also
22 the section directs GAO to conduct a study on use of a
23 designated representative, including the effects of
24 that use on the availability of pesticide application
25 and hazard information and worker health and safety.

1 And also, not later than October 1st of '21, make
2 publicly available a report describing that study,
3 including any recommendations, to prevent the misuse
4 of pesticide application hazard information if that
5 misuse is identified.

6 As far as resources available to people who
7 would wish to send in a registration application under
8 PRIA 4, the PRIA 4 web pages or the PRIA web pages
9 have been updated to be reflective of PRIA 4, and
10 specifically, I think the tools that are most commonly
11 used, the PRIA fee tables, the fee determination
12 decision tree, and the interpretation pages have all
13 been updated to be reflective of PRIA 4 category
14 descriptions and fees. And so the links there are to
15 those tools.

16 If you have any PRIA 4 related questions and
17 can't find the answer on the PRIA web pages, do please
18 contact your division level ombudsman via the mailbox,
19 or myself as well. I have been getting a lot of phone
20 calls and emails and then I'm happy to sort of help
21 steer you guys through understanding any of the new
22 provisions in PRIA 4.

23 And the next page is just those resources. I
24 know, so for RD, they in the last year have created a
25 mailbox that allows both the person serving in the

1 ombudsman role as well as the branch chief and team
2 leaders to all be able to access those questions. And
3 so for AD, Diane Isbell is the ombudsman, and but
4 there also is the ombudsman mailbox, and then Andrew
5 Bryceland in BPPD, and there's also a general
6 questions mailbox for the biopesticides.

7 That concludes the update for PRIA 4. Do you
8 have any questions around that? Do we have time?

9 MR. KEIGWIN: Why don't we first see if
10 members have questions about the changes to PRIA 4,
11 and then once that's completed, we can move to the
12 charge questions for the session. So I see Nina's
13 card up, so we'll start with Nina.

14 MS. WILSON: Thanks, Steve. How are you?
15 Yeah, I have a question with regard to the PRIA
16 category for harmonizing tolerances. Is there a
17 potential that that -- here's the feedback -- that
18 category could be used for the pilot program?

19 MR. SCHAIBLE: So the pilot program as I
20 understand it is relating -- is it relating to import
21 tolerances or --

22 MS. WILSON: Yeah.

23 MR. SCHAIBLE: Okay. So the revision under
24 PRIA 4 to the R292 category is meant to relate
25 specifically to situations where there are currently

1 published U.S. tolerances.

2 MR. KEIGWIN: Okay. Charlotte?

3 MS. SANSON: Yeah, thanks. So I've got a few
4 questions. So the first one is I think there's some
5 expectation there would be some relief on the resource
6 side within OPP relative to, you know, passing the
7 PRIA 4, the additional funding, this sort of thing.
8 So I was wondering if you could speak to that. I know
9 you all have mentioned, you know, how you're
10 recruiting to add staff, that sort of thing, but can
11 you speak to how PRIA 4 will help in that regard?
12 And then when you're done with that, I'll have a
13 question.

14 MR. SCHAIBLE: On the PRIA side, I think that
15 there are some increases in fees that hopefully will
16 help with the timeliness of our decisions. I think
17 our fee collections, our projected fee collections on
18 the registration fee side, we're projecting that there
19 will be more collections than I think that we would
20 hopefully be able to hire up with some of those fees.

21 I think the main pot of money that will be
22 available to us under PRIA 4 is going to be more fully
23 utilizing the maintenance fees that we will be
24 collecting moving forward as well as the maintenance
25 fees that have been collected in the past. I think a

1 large -- and I think we are already intending, we have
2 -- we're developing a plan to hire under utilizing
3 those fees.

4 I think, again, a lot of those are going to
5 go to reg review, but maintenance fees in terms of the
6 allowable activities under maintenance fees, you could
7 theoretically -- those maintenance fees can go towards
8 review of fast track amendments, inert clearances,
9 public health pesticides. And so I think that that's
10 where we're looking to utilizing those resources.

11 Rick, do you have anything to add to that?

12 MS. MILLER: Yeah, and one of the other
13 things that is helping, too, is that the elimination
14 of that one-to-one provision, that's going to be
15 helping, too, because we don't have to keep that in
16 mind constantly like we did with that one-to-one with
17 EPM. That was kind of one of the limitations that we
18 had before on hiring, but we are trying to get --
19 I mean, I think we've said this in other meetings that
20 we've had with other groups, that as soon as someone
21 comes in the door, we have someone walking out the
22 door. So it has been a struggle to keep up with the
23 hiring for folks who are retiring. And, you know, I
24 think we had back in October 2017, we had around 600
25 and some people on board, and then fast forward a year

1 and something later, we had hired about 70-some people
2 and we had almost 80 walk out the door. So we were
3 just barely keeping up.

4 But one of the things that we've been working
5 really hard on is down in our shared service center in
6 Research Triangle Park is that, you know, there are
7 certain processes that we have to go through when it
8 comes to hiring. So now that we understand the things
9 that they've been looking for, it's making it a little
10 easier and we've noticed that things are getting a
11 little faster in regards to hiring, although we still
12 kind of have to jump through some of those hoops. But
13 definitely, Charlotte, where we've gotten rid of that
14 one-to-one, that's going to help free up funds for,
15 you know, those resources for the hiring as well.

16 MS. SANSON: Thanks, I appreciate that. I
17 think I had heard that. I think I had heard Steve say
18 that about \$40 million that you're spending down, a
19 lot of that would go to reg review, but you're saying
20 that a lot of that will also be spent on the resources
21 that you need to hire. Okay. Thank you for that
22 clarification. That's good.

23 Okay. Second question. If I can continue.
24 So the maintenance fee collection of \$31 million that
25 you're targeting for 2019, how do you plan to collect

1 that difference this year?

2 MR. SCHAIBLE: So for this year, we're going
3 to -- we invoiced for the \$27.8 million. That is
4 going to be our target for this year. So there's a
5 \$3.2 million differential that will not be collected
6 this year. Using the averaging provision that PRIA 4
7 allows, we're going to apply that \$3.2 million, divide
8 it equally over the next four years, and so next
9 year's target is going to be \$31.8 million, and that
10 will continue for FY21, '22 and '23.

11 MS. SANSON: Okay, so that's what you were
12 referring to in the bullet below that.

13 MR. SCHAIBLE: Yeah. So the \$3.2 million
14 will be collected over the next four years.

15 MS. SANSON: Okay. I appreciate that. Okay,
16 good. And then there was also in one of the -- in the
17 setasides on the reporting requirements, there was an
18 item there on identifying process improvements for
19 review of new active ingredients, new uses and that
20 sort of thing. So I was wondering if you've had an
21 opportunity to think about like what's your vision for
22 how that will play out?

23 MR. SCHAIBLE: I think we're interested from
24 the stakeholders on hearing your ideas around what you
25 think that looks like. I mean, I think largely driven

1 by sort of some lean exercises and monthly measures
2 tracking that we currently are engaged in. We have
3 been working towards streamlining our new AI decisions
4 and trying to reduce the time frames for those
5 decisions as well as the average extension beyond the
6 original due date for those.

7 I think at the July PRIA stakeholder meeting,
8 I think we are going to be dedicating some time at
9 that meeting to some of the additional reporting
10 requirements and hearing from the stakeholders around
11 what are your ideas around that.

12 MR. KEIGWIN: Okay. Tim?

13 MR. TUCKER: Yeah, Steve, I was just
14 wondering on this 1/17th of the fees that are
15 collected, the million dollars for public safety or
16 pesticide safety education, do you have any record of
17 how those funds have been spent in the past? Is that
18 accessible to the public?

19 MR. SCHAIBLE: Yeah. Right. So there's the
20 worker protection activities and there's cooperative
21 agreements that are set up under those activities, as
22 well as the partnership grants and the pesticide
23 safety. Those are -- we report out each year on
24 those, the amount spent and what were the
25 accomplishments under those cooperative agreements in

1 the PRIA annual report. So if you look on the PRIA
2 web page for each of the previous years, that
3 information is provided.

4 MR. KEIGWIN: Okay. I think, Tim, if memory
5 serves me, I think at the fall PPDC meeting, we spent
6 some time going into detail, but I can check at the
7 break and share that with you, just so that you have a
8 fuller understanding of how we've been allocating
9 those funds.

10 MR. SCHAIBLE: Are you interested in all
11 three of the setasides or specifically the pesticide
12 safety?

13 MR. TUCKER: (Inaudible.)

14 MR. SCHAIBLE: Yeah, we'll follow up with you
15 on that.

16 MR. KEIGWIN: Amy, I thought I saw your card
17 go up.

18 MS. ASMUS: I thought you were talking about
19 your questions that you had, but you're still --

20 MR. KEIGWIN: Yeah, we're still on the
21 general questions about PRIA 4. Dan?

22 MR. KUNKEL: Thanks, Rick. Maybe just a
23 quick -- the GLP setaside, the \$500,000, you're
24 working with the office of enforcement, and I thought
25 that was for pay for FTEs. Does that include travel?

1 Because a lot of the audits are required travel to the
2 various laboratories, et cetera.

3 MR. SCHAIBLE: So historically, we have not
4 used FIFRA maintenance fees to support travel. So --
5 but obviously to augment the good laboratory practice
6 program for bringing people on, you need to -- we need
7 to find a way to support them actually conducting the
8 audits. So we are currently discussing with the
9 Office of General Counsel what latitude we have as it
10 relates to the GLP pieces to use part of that setaside
11 to support their travel. So we don't have a final
12 determination yet, but obviously an important part of
13 supporting those additional resources.

14 MR. KUNKEL: Actually, I have one final
15 piece. Tim, just to follow up on your question. One
16 clarification to make, the PRIA setaside funds are
17 part of what goes to these cooperative agreements.
18 We're also using appropriations money. So the full
19 amount that supports those cooperative agreements
20 isn't just the PRIA money, it's also appropriations as
21 well. And I believe Jeannie or Anna, can you speak to
22 that? Do you guys make that information publicly
23 available as well?

24 MR. KEIGWIN: Just on the money that goes
25 towards the different cooperative agreements and

1 activities. So we'll include links for that as well.

2 MS. SANSON: I do have a clarifying question
3 on what you just talked about. So there's a lot in
4 PRIA 4 now that talks about, and we're going to talk
5 about in a minute, the effectiveness and how to assess
6 that. So if you are combining appropriations or
7 combining appropriation dollars with the PRIA 4
8 dollars, are you going to use the same set of
9 standards and look at the effectiveness and the
10 appropriateness and how those dollars are used?

11 MR. KEIGWIN: So just to clarify so I
12 understand, Amy. So your question is if we supplement
13 the fee dollars with Congressionally appropriated
14 dollars, are we going to look at that total pool of
15 dollars allocated and apply the same effectiveness
16 standards? So the answer to that is yes.

17 Jay?

18 MR. VROOM: Related to the resource question
19 for GLP work, how is that being conducted between OPP
20 and OECA going forward? Are there any new operational
21 effectiveness efficiency steps going on there?

22 MR. SCHAIBLE: Yeah, we've met with OECA. I
23 think at this point we are providing them guidance on
24 how we have implemented the IT setaside under PRIA 3,
25 and I think they're very interested in how do they

1 access funds, but we've also been having discussions
2 that have included our legal counsel around what are
3 the allowable activities, what activities can the
4 funds be spent for or not spent for.

5 And so I think at this point we're sort of
6 bringing them up to speed on what are the ways in
7 which they can access and use the funds. I think,
8 again, at the July PRIA meeting, I think we're going
9 to be seeking feedback from the stakeholders on what
10 is their definition of enhancements to the program.
11 The conversations we've had so far, I think that we're
12 aware of some of the concerns that have existed and
13 for which the setaside was created from the industry
14 standpoint, but I think we are interested in getting
15 feedback on that.

16 MR. VROOM: So the PRIA stakeholder process
17 would be the mechanism through which stakeholder input
18 could come, then, not through PPDC?

19 MR. SCHAIBLE: We haven't -- it's not a
20 charge question today, but Rick?

21 MR. KEIGWIN: So, you know, we have our PRIA,
22 the stakeholder quarterly meetings that the
23 registrants attend. We also have periodic meetings
24 with our NGO colleagues, and then we can also use this
25 forum as well. I think why we wanted to focus on the

1 worker safety setaside piece today is that there may
2 be some other things that we need to put in place
3 between now and next year at the reporting cycle, and
4 so getting some early feedback on that part was
5 critical to us.

6 Laurie Ann? If we can find you a mic' that
7 works.

8 MS. BURD: I was wondering how much spending
9 is going on on the ESA assessments and what activities
10 specifically are being funded by these PRIA funds.

11 MR. SCHAIBLE: So I know we prepare a report
12 for Fish & Wildfire Service every year on how much
13 we've spent. I don't have that at my fingertips, but
14 we can get that figure for you.

15 The work that we are doing in registration
16 review to support the development of biological
17 evaluations and even the prework that goes into the
18 draft risk assessments that then move on to inform the
19 development of BEs, we use the FIFRA maintenance fee
20 accounts for. So we are -- there's a good chunk --
21 all of our registration review work will ultimately
22 lead into BEs, whether necessary. So there is that
23 starter process, but we specifically report out to
24 Fish & Wildfire Service every year what we spend on
25 ESA, particularly regarding implementation of

1 biological opinions, and we can get that information
2 for you.

3 I just wanted to check real quick with
4 Iris, Richard and Andrew to see if they had any
5 questions relative to the changes in PRIA 4. So we
6 will unmute the line. Any questions from Iris,
7 Richard or Andrew?

8 MR. GRAGG: Richard doesn't have any
9 questions on the PRIA.

10 MR. SCHAIBLE: Thanks, Richard.

11 MS. FIGUEROA: This is Iris. I don't have
12 questions, just feedback on the question about
13 reporting, but I can weigh in on that later.

14 MR. SCHAIBLE: Okay. All right, so we're
15 going to mute the line again, and we'll move to the
16 charge questions.

17 So there are three charge questions so we
18 would like to get feedback on today. The first is how
19 should EPA go about addressing new reporting
20 requirements specified in PRIA 4 for PRIA setasides
21 for worker protection activities, partnership grants
22 and pesticide safety education program. So why don't
23 we start off with -- you know, start off with that
24 one.

25 MR. KEIGWIN: Okay. Amy?

1 MS. ASMUS: Well, I kind of think they do all
2 go together. So I don't know why there's so much --
3 so do we need to separate these three questions?

4 MR. KEIGWIN: We can handle them all at the
5 same time. If it helps with the dialogue and giving
6 us advice, we can handle them all at the same time.

7 MS. LIEBMAN: Because basically to report
8 about some of these requirements, you're going to want
9 to sort of understand how they're evaluated. So I
10 have several suggestions, and there's a wealth of
11 evidence-based literature on evaluation, and one of
12 the key pieces in doing any type of program would be,
13 you know, formative evaluation, which is how you sort
14 of get input and feedback and how you go about sort of
15 designing, you know, the program, how you get feedback
16 on drafts of the products.

17 And so I want to really encourage the Agency
18 to think about who is involved in that kind of
19 conversation and which stakeholders are a part of
20 that. And so obviously I'm representing the farm
21 worker interests here, and I would like to see a lot
22 more involvement all throughout the evaluation
23 process, but particularly on the front end of the farm
24 worker community.

25 So and just to give an example of what I am

1 talking about is that in the WPS one-pager that you
2 have, you talk about -- you talk about a lot of
3 process indicators, and we trained -- you know, 150
4 trainers reached this number of farm workers, we
5 developed a video and we distributed materials. That
6 really, that's process, which, you know, you need to
7 tell us about, but that's not going to cut it with
8 under new PRIA. And it shouldn't have been cutting it
9 before, but you need to sort of take it up.

10 So, for instance, in developing that video, a
11 draft video should have been produced, you engage farm
12 workers, or even before that, you talk to farm workers
13 about what do they think needs to be in it. You then
14 go back to the drawing board, you produce your video,
15 you go back and you talk to farm workers, because
16 they're going to be your end users for this training
17 video, right? And then you evaluate its
18 effectiveness. You know, is it getting the messages
19 out? You know, is it changing their knowledge? And
20 then if it's not, you go back and you make that
21 product stronger.

22 And then ultimately when you put it out for
23 use, you continue to evaluate that effectiveness.
24 And that takes knowledge, it takes the ability to sort
25 of understand the farm worker community, and it takes

1 funding. So having, like, you know, an advisory
2 committee is great, but that's not going to -- that's
3 not going to cut it. And it does take time and effort
4 to engage the farm worker community.

5 So, you know, for all of the work that's
6 involving sort of the end stakeholder, or is targeting
7 the end stakeholder, that group needs to be a part of
8 the process from the very beginning. And that's one
9 piece. And I do encourage the Agency to really think
10 about those -- the different levels of evaluation in
11 terms of how they incorporate that into their
12 cooperative agreement.

13 Another point to consider in terms of that
14 these dollars that are going out, is what agencies are
15 they going out to? And right now, it's like UC Davis
16 seems to have the corner on the market, and Oregon as
17 well. And why is that? That doesn't make any sense
18 from the number of stakeholders involved that it
19 should be sort of monopolized by a few institutions
20 who arguably may or may not -- you know, they may have
21 some sort of linkages or connections with the
22 community, but, you know, I don't see the universities
23 as the best place to be reaching the farm worker
24 community. So you really need to think about
25 diversifying that.

1 And then another piece of the grants that go
2 out the door for the cooperative agreements, is we've
3 always heard from the Agency like, oh, you know, we
4 gave that money, and we can't tell the grantees what
5 to do. That's not true at all. And that really needs
6 to be integrated into the effectiveness in looking at
7 how you assess these programs. Because if you --
8 evaluation is circular. It's ongoing.

9 So as you get feedback, as you understand how
10 to strengthen the program, you want to be able to go
11 back to the people that you've given grants to, and
12 cooperative agreements allow you some of that
13 flexibility to say, you know what, this isn't cutting
14 it. Or, you know, this is what we're hearing, or this
15 is what you're showing from these results.

16 So all of that needs to be sort of integrated
17 into your process. How you design your cooperative
18 agreements is, again, part of this informative process
19 for looking at how effective your ultimate product is
20 going to be.

21 So the writing of those cooperative
22 agreements and how -- what they specify. Are
23 they going to be reviewed in a way that you're
24 ensuring inclusivity? You're ensuring stakeholder
25 involvement?

1 So those are just some of the initial
2 suggestions. I'm happy to talk in more depth about
3 it, but it's up until now, it's been a very close
4 process in terms of the design of the requests for the
5 funding announcements that go out, how is it that they
6 appear? And they have a set of criteria of what
7 should be in them, and then they get reviewed.

8 And so that process I think is pretty broken
9 right now and will -- has a lot of room for
10 improvement, and when improved, can assist you in
11 terms of making sure that what you're funding is
12 appropriate and effective.

13 But at a minimum, I don't -- it's not
14 acceptable to the farm worker community or a
15 stakeholder that cares about this to simply give us
16 your process numbers. That's not going to cut it.
17 And if that's what you want to do, then it's not in
18 the spirit of PRIA at all.

19 MR. KEIGWIN: So thanks, Amy. I think we
20 agree with you that certainly what we have been
21 reporting out is outputs, and you read off some of
22 them, and we believe the purpose of the reporting
23 language is to go beyond that, and it's an important
24 part of why we're having this dialogue this morning is
25 to help us get from reporting outputs to outcomes.

1 This has been a topic not necessarily on worker
2 protection, but on just performance measurement that's
3 come before this committee on a number of occasions,
4 and it's always easier to report outputs, it's always
5 more of a challenge to report outcomes.

6 So thank you for your feedback and some
7 suggestions on how we can begin to move more towards
8 an outcome oriented performance discussion.

9 I know Iris had wanted to say something on
10 this topic, so if we could open the line for her, and
11 then we can see what the members might want to say.

12 MS. FIGUEROA: Thanks, Rick. Yeah, so to
13 echo what Amy just said and also some of what you said
14 about outcome versus output, and we're also happy to
15 talk further about this with you in more specifics,
16 but I think the bottom line is the evaluation has to
17 be qualitative as much as quantitative, and we really
18 need to make sure that we are evaluating whether the
19 trainings and the materials is actually resulting in
20 the retention of the information or a change in the
21 behavior of the end users and is actually making an
22 impact on the ground. So that's really what we want
23 to focus on, that language we think is meant to focus
24 on.

25 MR. KEIGWIN: Amy?

1 MS. ASMUS: I just wanted to let you all know
2 that through the National Institute for Occupational
3 Safety and Health, NIOSH, they support more of these
4 ag centers around the country. And one of the
5 projects within that ag center is looking at the
6 effectiveness of some of the worker protection
7 standard materials and also developing a well-tested
8 and culturally appropriate training.

9 So I would love to keep you all posted on the
10 results of that study, but the preliminary -- the
11 preliminary findings are showing pretty significant
12 difference in the curriculum that they've developed
13 and the process for training versus a farm worker
14 seeing through a video.

15 So there's -- and so there is work on the
16 ground that EPA isn't even funding, but your federal
17 partners are, and I think it will be very important to
18 stay connected and aware of some of those things and
19 basically learning from that and incorporating it into
20 the work that you're doing.

21 MR. KEIGWIN: Thanks, Amy.

22 Tim, did you want to -- did you have a
23 comment on this piece? Please.

24 MR. TUCKER: I was just wondering if you had
25 considered a workgroup or a committee, because the

1 scope of this seems so broad, and stakeholder
2 involvement would be critical. Have you thought about
3 that?

4 MR. KEIGWIN: I might throw that question out
5 to the whole committee and see what interest that
6 might be and if that's a recommendation that this
7 committee wants to put forward to the Agency to form a
8 workgroup to help flush out these evaluation criteria
9 a little bit better. So we might do a call at the
10 end. I'll go to Amy, Iris and then Andy.

11 MS. LIEBMAN: As an end user of these
12 products, I think it's very important for the EPA to
13 work together with the different stakeholders. We do
14 do safety training with our farm workers, with our ag
15 retail workers. We work with a company called AsMark,
16 Ag Retailers Association works a lot with us to make
17 sure that our people are properly trained, not just
18 with videos, but with hands-on training as well.

19 One request that I would have as an end user
20 is please work together, because when I get one arm
21 telling me I have to do one thing, another arm telling
22 me I have to do requirements of different
23 specification. We need consistency, and that
24 consistency throughout all the stakeholders is what
25 makes us effective, because if we're hearing 10

1 different messages from 10 different places, it's very
2 difficult for us to actually work across all of them.
3 Then we end up choosing one avenue that we can apply.
4 And if that avenue is not consistent with the goals of
5 the other avenues, you know, we're the bad guy when
6 we're doing everything we can to protect our workers
7 and to protect our businesses and to protect our
8 environment.

9 And so one thing I would ask is whatever you
10 come out with, because the EPA really doesn't touch me
11 as an ag retailer. Whatever you come up with, make
12 sure it's implementable in the field and it's
13 effective when it's implemented, and we don't have to
14 pick and choose what aspects we can implement and what
15 aspects we can't.

16 MR. KEIGWIN: Andy?

17 MR. WHITTINGTON: Yeah, I would, given the
18 scope and the breadth of the questions you're seeking
19 answers to, I think I would support Tim's suggestion
20 that there is a workgroup that contains several
21 different stakeholders in there to provide you the
22 input. I don't think you're going to get today what
23 you necessarily need. We would be happy to submit
24 comments to you on the questions.

25 MR. KEIGWIN: Amy Liebman.

1 MS. LIEBMAN: In response to the working
2 group, I'm pretty mixed about that. I don't have a
3 lot of confidence, sorry, I'm -- Iris and I are the
4 only like farm worker representatives in the group,
5 that it would be a diverse enough group to really sort
6 of look at the end user for the product.

7 And so if we did a working group, I think a
8 lot of thought has to be into how it would be run, who
9 would be involved. You know, there's a -- we can't
10 just have sort of the same old-same old or I don't
11 think it will be very effective.

12 MR. KEIGWIN: So, thanks, Amy, for that. To
13 your point, if we were to establish a workgroup, and
14 if I go astray, I'll have Shannon correct me, but as a
15 workgroup, we can have -- while we have to have some
16 participants from the PPDC on the workgroup, we can
17 also have additional people who are not members of the
18 PPDC so that we can bring in those additional
19 perspectives and backgrounds and contributions.

20 So if we did form a workgroup, I think that
21 would be one of the requests that we would make of all
22 of you is who are the right people and right entities
23 to have as part of the workgroup.

24 Their work, as we'll have after the break
25 with the Public Health Workgroup, their work would

1 then have to come back to this group for consideration
2 for a recommendation back to the Agency, but my point
3 was really that through a workgroup exercise, if
4 that's what we wanted to recommend back to the Agency,
5 we could have expanded participation in part to
6 address that specific point, Amy, that you were
7 making.

8 Donny?

9 MR. TAYLOR: So the other thing in worker
10 protection standards, the backbone of this is the
11 safety data sheets, and it seems like each Agency just
12 has their own version for the same task or for the
13 same behavior. So if there could be some type of
14 uniformity so that when we do those trainings that it
15 is in compliance with multiple agencies and not just
16 one. Probably the difference between EPA and OSHA is
17 probably the biggest gap that I see out there today.

18 MS. SANSON: As long as you're talking about
19 safety data sheets, you know, like safety data sheets
20 are a little bit more readily available in other
21 languages, but that is pretty key, that they are
22 always provided in the language the workers speak.

23 MR. KEIGWIN: Let's just check, we gave Iris
24 an opportunity directly, but maybe just to open up the
25 line again to see if Richard, Andrew or Iris have

1 additional questions.

2 MR. THOSTENSON: I don't have any additional
3 questions on this. This is Andrew.

4 MR. GRAGG: I don't have any additional
5 comments.

6 MR. KEIGWIN: Thanks, Richard.

7 MS. FIGUEROA: I would just welcome, you
8 mentioned, Rick, if there was to be a workgroup, the
9 possibility of having participation from member --
10 from people outside of the PPDC.

11 MR. KEIGWIN: Right. Okay, thank you.

12 So let me ask, is there consensus that we
13 should try to go about forming a workgroup to dive
14 deeper into this, noting I heard from a couple of
15 people that there would be an interest, and, frankly,
16 more of a need to expand who would participate in such
17 a workgroup. Are people -- is there a consensus
18 around that?

19 MS. ASMUS: I would encourage that. We meet
20 twice a year, and give our input when we can outside
21 of that, but a workgroup really sets a goal and has
22 directed conversation around it, and I think it makes
23 this group more effective if we can have somebody look
24 deeper at it and bring it back to that group. So, and
25 as a retailer, I would be on that group if it was so

1 determined.

2 MR. KEIGWIN: All right. Amy?

3 MS. LIEBMAN: I would support it. I mean,
4 again, I made my point about the diversity, but also,
5 I think it's going to be work on the Agency. I would
6 ask that you have interpretation available. I would
7 ask that you have funding available to support the
8 time and effort from stakeholders that can't afford to
9 spend their time, you know, doing this.

10 If we really want to engage the community, a
11 workgroup like this will take more effort than we
12 normally do, and I -- I would agree to it if we can
13 agree to some, you know, to make sure that it's
14 diverse and make sure that we're inclusive and that we
15 don't have barriers that prevent people from
16 participating.

17 MR. KEIGWIN: Nina?

18 MS. WILSON: I would support the workgroup
19 and I would like to say that I think the biological
20 products industry would like to be part of it so that
21 we can talk about the benefits of our particular kind
22 of products for worker safety as well.

23 MR. KEIGWIN: So I would -- I appreciate
24 that. I would caution us that I think the charge of
25 the workgroup would be to focus on how to measure the

1 effectiveness of how we're out using those funds to
2 promote worker safety and the programs specifically
3 that we're funding with those dollars.

4 So I think we would have to come up with a --

5 MS. LIEBMAN: Yeah, I think it would depend
6 on the metric that you picked, right?

7 MR. KEIGWIN: Well, the metric. The charge
8 specifically in PRIA 4, as I understand it, is in the
9 expenditure of those setaside dollars to fund the
10 development of worker safety materials. How effective
11 are those materials? So I want to look at Steve and
12 make sure I've got that right.

13 MR. SCHAIBLE: So, yeah. Basically the
14 reporting is saying the appropriateness and the
15 effectiveness of how the money is being spent as well
16 as -- so EPA's evaluation of that, the stakeholders'
17 evaluation of that within the worker protection
18 activity realm specifically, and then finally the
19 third reporting requirement is the description of how
20 stakeholders are engaged in the decision to fund such
21 activities, grants and the programs. So those are the
22 three elements that EPA will be reporting on as part
23 of the annual report and I think we're interested in
24 getting feedback on those specific points.

25 MR. KEIGWIN: So with that caveat, I think

1 --

2 MS. LIEBMAN: I could draft something up for
3 you to look at and consider as part of it, because I
4 think it is part of understanding and making sure
5 people understand what the benefits of certain lower
6 risk products are, and I think that is part of worker
7 protection.

8 MR. KEIGWIN: I mean, if you want to submit
9 something, we can certainly consider it. I'm just
10 looking at the plain language of the statutory
11 provision and the statutory provision talks about the
12 money that we spend. So, for example, a cooperative
13 agreement to entity X, how effective is the materials
14 that they are developing in achieving worker
15 protection, as opposed to what is the safety profile
16 of any individual set of products.

17 So I think we have to -- it would be a
18 challenge, I think, to incorporate both of those
19 things when I think the intent of the language was to
20 really get at how efficacious are the materials, the
21 training, the videos, the outreach, and achieving the
22 aims of spending the money in those areas.

23 So I'm not ruling it out, I'm just saying the
24 primary focus would need to be (inaudible).

25 MR. KEIGWIN: Okay. So is anyone on the

1 committee opposed to the recommendation that a
2 workgroup be formed in this regard?

3 (No response.)

4 MR. KEIGWIN: Understanding we would have to
5 do a little bit more work on -- if the Agency did
6 decide to accept this recommendation, we would need to
7 do some additional work as a committee to refine and
8 develop a targeted scope so that those participants on
9 the workgroup would have a clearer understanding of
10 what we were asking them to do.

11 MS. LIEBMAN: That would be super critical
12 and, you know, right up front, that objective has to
13 be, you know, agreed upon or it won't be an effective
14 workgroup.

15 MR. TUCKER: Do you feel like you have a
16 subject matter expert here at EPA for this category?

17 MR. KEIGWIN: So we certainly have people
18 that are experts in the materials that have been
19 developed, experts in the direction that we have given
20 to our cooperators in the development of the
21 materials. I am sure that there are people in EPA, to
22 get to one of Amy Liebman's earlier points about
23 measuring effectiveness, I think we can also reach out
24 to NIOSH to see what type of work they've been doing.
25 Amy referenced the work that they've been funding in

1 Florida to see what types of metrics and approaches
2 they've been using to help that could then also help
3 to inform any direction we give to this workgroup.

4 And I suspect that in the course of the
5 workgroup's activities, particularly because we would
6 be able to bring in individuals that aren't sitting
7 around the table today, that we could look for
8 individuals who have specific expertise in measuring
9 effectiveness of programs generally that could help to
10 move the workgroup's discussions.

11 All right. So what we will take back to the
12 Agency is a recommendation to form a workgroup to help
13 better inform how we will address this reporting
14 requirement under PRIA 4. If that recommendation is
15 accepted, we will then come back to this group with a
16 more focused charge in the workgroup so then we could
17 then begin to get the workgroup's activities up and
18 running. Hopefully prior to the next meeting of the
19 PPDC.

20 Does that reflect the consensus of the group
21 around the table?

22 (No response.)

23 MR. KEIGWIN: Okay. Thank you all for that.
24 We are right on time. So it is 10 -- basically 10:30.
25 We will start back up at 10:45 with a report from the

1 Public Health Workgroup. Thanks.

2 (Brief recess.)

3 MR. KEIGWIN: Welcome back. So for our
4 second session, we have a report out from the Public
5 Health Workgroup, so let me turn things over to Wynne
6 Miller and Susan Jennings.

7 MS. MILLER: Hello, everyone. So the public
8 health -- this particular workgroup has been working
9 on suggestions for the full PPDC on things that could
10 help EPA when it comes to responding more effectively
11 to a merger season. I guess this stemmed out of
12 meetings before my time coming on board last November.
13 So but the last six months or so, they've been working
14 really hard trying to pull those recommendations
15 together.

16 There's about probably 20 people on this
17 workgroup. We've had some very great discussions,
18 probably about six or eight meetings. I've probably
19 lost count, Susan, but -- so what they're going to do
20 is present their suggestions to you and then discuss
21 those suggestions. I guess it's up to you whether or
22 not you want to put forth those suggestions to EPA --
23 those recommendations to EPA. You know, whether or
24 not you want to have time to look at the materials
25 later on and then come back and provide those

1 recommendations to EPA, but what I would do right now
2 is I'll let David Jones, who is our spokesperson,
3 present the suggestions to you and we will begin those
4 discussions.

5 After we've finished with that particular
6 session, one of the things that we do want to start
7 discussing as well is what is the next thing that the
8 Public Health Workgroup should be looking at? You
9 know, are there suggestions out there that after this
10 particular one is done, things that people think we
11 should be working on next. And so we will talk about
12 that maybe the last 20 minutes of the hour. Okay.

13 MR. JONES: All right. Take two. Good
14 morning, everyone. This has been an interesting
15 workgroup. Like most others I've worked in, I think I
16 learned more than what I contributed, so, you know,
17 it's been a great experience. I hope you find our
18 output of value. So, you know, without further ado,
19 we'll jump in and discuss what we are going to suggest
20 to the PPDC.

21 First, let's start with the foundational
22 definitions and assumptions that we defined to help
23 focus our efforts. The workgroup goal we had decided
24 would be to develop suggestions for the PPDC to help
25 the Office of Pesticide Programs respond more

1 effectively during an emergency, as Wynne he had
2 shared.

3 It would also be considering other agencies'
4 involvement, and the harmonization of communication
5 materials about pesticides. So, again, like the prior
6 discussion, you know, talking about communication
7 pieces.

8 We defined an emergency for the context of
9 this workgroup to be any unplanned event or series of
10 events that cause an ongoing tangible threat to human
11 health that can be ameliorated by the proper and
12 appropriate application of EPA registered pesticides.
13 Such an emergency event could occur when: One, a new
14 or reoccurring pathogen is introduced; for example
15 Zika.

16 Two, conditions following a natural disaster
17 lead to the sudden increase of a public health threat;
18 for instance, you know, fly increase, mosquitoes,
19 rodents, vector-borne viral challenges, bacterial or
20 fungal pathogens following a hurricane. You know,
21 could be during flooding. These are just examples of
22 many of the events that might trigger EPA's
23 involvement supporting other agencies.

24 And lastly, third, human events or terrorist
25 activity warranting a coordinated communication of the

1 proper and appropriate use of pesticides; for example,
2 it's been a while, but the anthrax threat that had
3 arisen.

4 Not covered by this definition would be
5 events that can be readily planned for. For instance,
6 you know, seasonal flu. It's going to happen, we know
7 it, we know how to deal with it, more often than not.
8 And also peak vector activity periods. Summer in Minnesota
9 is one memory that comes to mind, the mosquitos carry
10 you off.

11 So OPP's role in an emergency. OPP is not
12 expected to be the lead responder in an emergency.
13 You know, we were pondering the whole group, you know,
14 when might that occur and, frankly, we couldn't come
15 up with one, so we concluded our efforts would be
16 towards EPA's response as a support role.

17 EPA serves as a vital role when pesticides
18 are needed, whether alone or as part of an integrated
19 pest management IPM program, to respond to an
20 emergency, providing information on registered
21 pesticides to control microbial, vertebrate and
22 invertebrate threats to public health.

23 So those were the basic parameters that we
24 started our work. At that point, to become or to
25 handle it more efficiently, we had divided ourselves

1 into four workgroups. One was EPA's roles and
2 responsibilities; another group tackled stakeholder
3 involvement issues; a third were pesticides, IPM and
4 other control tools; and lastly, we had a workgroup
5 that dealt with communications. So I'll jump now into
6 what each of those groups did and are suggesting as a
7 result.

8 Response area number one, EPA roles and
9 responsibilities. Many key stakeholders and members
10 of the public are unaware or ill-informed of the roles
11 and responsibilities of the EPA during public health
12 emergencies. This may result in confusion,
13 misinformation and the potential misuse of pesticides,
14 which may lead to an ineffective response and failure
15 to mitigate the emergency. My dad taught me long ago,
16 you've got a job, you have to have the right tool.

17 So suggestions to PPDC in this regard were
18 that OPP, as a supporting role to other federal, state
19 or tribal agencies -- and when I mention this, it's
20 not to, you know, slight any Agency by not mentioning
21 them here, but there are so many that EPA may work
22 with, please presume that I'm talking about counties,
23 parishes, you name it. There could be interactions
24 that EPA would go beyond the list that I'll mention,
25 but they'll clarify in detail how OPP's role might

1 vary by crisis type, how EPA's communication roles
2 throughout the public health emergency would continue,
3 be maintained and/or ceased, for instance. OPP's role
4 relative to other EPA programs, federal agencies, and
5 stakeholders, again, we're confining the focus of this
6 group to OPP's role.

7 OPP's role in identifying and preparing for
8 emergency public health issues. So everything is
9 pretty much in place, hopefully, or at least a
10 template on how to respond to each different varied
11 emergency as it arises.

12 And lastly, a description of OPP's roles and
13 responsibilities in after action reviews for response.
14 So what lessons can be learned when the clock is off
15 and they've got time to reflect.

16 Response area number two is stakeholder
17 involvement. This group considered during an
18 emergency, OPP responds to queries from various
19 entities. For instance, it could be CDC, it could be
20 DHS, it could be state pesticide regulators, health
21 departments, the media, et cetera. When OPP reaches
22 out or engages stakeholders directly, stakeholders
23 involved will vary based on the extent and type of
24 emergency. Again, just forming a game plan, if you
25 will, for whatever occurs and whoever might be

1 involved in responding.

2 Here is the suggestion of the stakeholder
3 involvement group. OPP stakeholder outreach. We
4 recognized and are suggesting using email lists
5 currently used for OPP updates, et cetera. Those are
6 mechanisms already in place that distribute pertinent
7 information at regular meetings with groups, and that
8 would be groups such as this, it could be PRIA
9 stakeholder meetings. It would be, you know, normal
10 channels of communication already in place.

11 And I neglected to mention, too, there are
12 more detail around these issues in the handouts that
13 just came to you, so, you know, we can certainly
14 discuss after, but I'm just hitting a high level on
15 all these items.

16 And lastly for the stakeholder outreach, use
17 PPDC's semi-annual meetings to communicate when
18 appropriate. Now, the stakeholders include but are
19 not limited to federal, state, territory and tribal
20 agencies; local government health and pesticide
21 officials; end user and specialty groups; professional
22 trade associations; pesticide program dialogue
23 committee; and I'm sure there are several others that
24 would be considered should this action go forward.

25 Response area number three, pesticides, IPM

1 and other control tools. OPP has a mandate to educate
2 and encourage the proper use of pesticides and the
3 corresponding use of IPM, including non-pesticide
4 control. Maximum efficiency of pesticides is
5 especially critical during an emergency. OPP can be
6 better prepared for emergencies by preparing policies
7 and materials in advance of an emergency. Again, it's
8 having a game plan, the materials done, prepared ahead
9 of time, as we can, you know, foreseeably expect.

10 The suggestion for that area was adapt
11 existing materials on processes to specifically
12 address public health pesticides. In particular, the
13 group had discussed clearly defining the differences
14 between an experimental use permit and Section 18
15 exemption, so that one could decide which path to
16 follow should there not be an existing pesticide, how
17 can it be more easily or promptly readied to respond.
18 So understanding those differences would be key.

19 Also, the recommendation -- the suggestion
20 was modifying Section 18, Roadmap, to specifically
21 address public health pesticides not necessarily
22 currently in scope.

23 Also suggested was discussing roles and
24 options for using pesticides that are not registered,
25 including novel delivery options for pesticides. I

1 think one of those will come up later when the drone
2 discussion occurs.

3 Also clarify OPP's policy to expedite
4 pesticide reviews during emergency. Again, it's more
5 if there's nothing out there to counter the threat,
6 then how can that be approved more quickly and
7 assessed properly, of course. And lastly, create IPM
8 materials specific to types of emergencies and pests.

9 Response area number four was communications.
10 This group had discussed during an emergency, accurate
11 pesticide information is needed quickly. Consistent
12 pesticide messaging is critical to community leaders
13 who provide information to their specific audiences.

14 This was an interesting group I had worked
15 in, but there are so many instances, there are so many
16 levels of communication. You know, you have to
17 target, you have to make sure it's effective. You
18 know, as we go through, I think you'll see just some
19 of the nuances. So it is a big job dealing with these
20 emergencies as they arise.

21 So the suggestion was the existing
22 communication methods should be consistent. Being
23 proactive allows OPP to respond quickly and
24 effectively. It frees Agency resources. It's always
25 best to contemplate strategies and communications when

1 adrenaline is not flowing as high as it could be
2 during.

3 Plain language information about risk and
4 benefits of pesticides used to control pests and
5 pathogens during public health emergencies. And here,
6 a simplified special message for vector control
7 products applied by ultra low volume, or ULV, was
8 offered as one example.

9 Within the detailed documents, you'll see a
10 link to Federal Government's guidance on how to create
11 plain language information and communications. So,
12 you know, the tools are there, it's just taking the
13 time to plan and prepare.

14 And then the last bullet, create standard
15 statements on pesticide issues for emergencies. Also,
16 you know, when the adrenaline is not flowing, you get
17 ample time to consider issues like endangered species,
18 risk to the environment, if any organic farms issues
19 come up, NPD gas permits, environmental impact
20 assessments, pollinators, parklands. I could go on,
21 and the detailed document does somewhat, but, you
22 know, there are a lot of issues to cover. And doing
23 it when, you know, time to think and react before the
24 adrenaline hits is going to be the best time to do
25 that, we thought.

1 So that went quicker than I had done it
2 earlier today, but anyway, as we're getting close to
3 lunch, that's probably a good thing, right? So I'm
4 going to turn it back over to Wynne, and thank you for
5 your time and attention.

6 MS. MILLER: Thanks, David. And one person I
7 forgot to mention was Susan Jennings here, who has
8 been very helpful, she works for EPA in the Office of
9 Pesticide Programs and she has been super helpful in
10 leading this group and helping them, you know, have
11 meetings and comments on the documents and help
12 clarify things related to EPA's role under certain
13 circumstances.

14 So if you have questions for some of the
15 suggestions that the group has put forward, then why
16 don't we go ahead and start.

17 Dan?

18 MR. KUNKEL: Thanks, Wynne. And great work
19 by the team. Just after hearing the different areas
20 of work and I was just wondering if there's any area
21 of doing trial runs. You know, we always hear about
22 that for some of the other emergency responses and I'm
23 just wondering if the working group discussed any test
24 runs, trial runs, to kind of test out the some of the
25 recommendations that you've provided?

1 MS. MILLER: We didn't necessarily run
2 explicit test runs, but we did talk about a lot of
3 different scenarios. The workgroup was comprised of
4 members from different parts of the industry, the
5 antimicrobials, the mosquito concerns, tick concerns.
6 So we tried to make it fairly diverse. So when we
7 talked about particular suggestions, those views were
8 taken into account and we kind of ran through it.

9 I think one of the things that the more we
10 discussed in the workgroup, we learned was that it's
11 really -- this isn't so much an emergency response
12 suggestion as it is an emergency preparedness
13 suggestion. Because the response is going to be a
14 whole lot more holistic, thought out and rapid if we
15 can pull out and tease out the things that we can
16 prepare for in advance. Does that address the
17 question? All right.

18 Any other questions? I think is your card
19 up, Amy?

20 MS. LIEBMAN: So are these just clarifying
21 questions or we can ask any questions now?

22 MS. MILLER: Go ahead.

23 MS. LIEBMAN: Well, first of all, thank you
24 for all the work that you've put into this. I know
25 that the workgroups take a ton of time. And I am just

1 curious in terms of I like this idea of the whole
2 emergency preparedness piece of it. That makes a lot
3 of sense. But I'm wondering what considerations you
4 have for helping to make sure that the information
5 reaches vulnerable populations and populations that
6 might be more at risk?

7 So what are we doing in terms of different
8 languages, different approaches to reach the farm
9 worker community or other sort of isolated
10 communities, and how is that going to be incorporated
11 into the preparedness of the EPA?

12 MS. MILLER: So, Amy, is that something
13 you're thinking that should be part of the
14 suggestions/recommendations back to EPA, then?
15 Because this workgroup is developing suggestions for
16 us, right? Are you thinking that should be part of
17 the materials in the recommendations, in targeting
18 those vulnerable populations when we do have messages
19 that maybe go out?

20 MS. LIEBMAN: Right. And incorporating
21 standards like distrust of government and
22 incorporating all these little nuances that are really
23 critical in terms of reaching populations.

24 MS. MILLER: Yeah, I think one of the things
25 -- we did discuss that actually, at different points

1 fairly extensively, and if you look at the handout
2 that was handed out earlier, it gives more detail. I
3 think what Dave's slides and what he presented is just
4 an overview, but that was an integral part of our --
5 the communications section at the end. And I think
6 that it was very much something that we discussed and
7 something that we addressed as a problem.

8 I think there was also a lot of discussion as
9 to how it fits into EPA -- OPP's role and how we can
10 make that part of what we're doing and how not only
11 make our communications more targeted, but also
12 communicate with the people in the communities and in
13 the states that understand and recognize their own
14 vulnerable populations.

15 As a national organization, sometimes we just
16 can't do it all, but there are things that we can do
17 to make it easier for other people to do it, and that
18 was part of the discussion as well.

19 MR. KEIGWIN: Laurie Ann?

20 MS. BURD: Thanks. So not to diminish the
21 importance of emergency preparedness, but the United
22 Nations says that 200,000 people die each year from
23 acute toxic pesticide poisoning, so there is an
24 ongoing public health emergency related to pesticides
25 that can't necessarily be solved by more pesticides.

1 I'm wondering if the workgroup would consider
2 expanding its scope to look at acute pesticide
3 poisonings and also chronic pesticide poisoning, and
4 if not, what OPP is thinking about this issue and
5 ongoing crisis?

6 MS. MILLER: So, Laurie Ann, one of the
7 things that we're going to talk about after this
8 particular discussion was what other topics should the
9 workgroup take up. So maybe that's something to
10 consider, you know, for the future. Whether or not
11 that's one of the ones they want to tackle. So maybe
12 just we could add that to the list.

13 Go ahead, Rick.

14 MR. KEIGWIN: Yeah. Just to refine that, so
15 we had given -- this group had given the workgroup a
16 specific charge, so they're reporting on that. I
17 think what they're going to want from us at the end is
18 which of their suggestions, what subset, or all of
19 them, do we as a group want to recommend forward, but
20 then their next ask is so what else do you want us to
21 work on? What should be our next charge?

22 So I think that would be one that we would
23 want this broader group to consider as the next charge
24 for this group.

25 MR. JONES: And also having been involved

1 with communication team on this project, you know,
2 that was part of our hope was that EPA through this
3 exercise would be viewed as the expert, would
4 recommend what was appropriate for that particular
5 threat, if you will, and use the right tool properly
6 as a result following their expert guidance.

7 MR. KEIGWIN: Any other comments, questions
8 for the workgroup? Tim?

9 MR. TUCKER: Maybe I can look at you in the
10 right direction and talk into the mic'. I think that
11 you have done some great work here, and thanks to the
12 committee -- the workgroup, I mean, but on the last
13 page, you had build the public's confidence toward the
14 EPA's approach by improving communique quality,
15 quantity and consistency. And I think if I could see
16 one thing in your presentation that really popped out
17 at me, it's this aspect of communication and changing
18 the public's confidence.

19 Were there any suggestions from the
20 workgroup that you could do to accomplish that?
21 Because there are a lot of, you know, concerns that
22 people have. The EPA's image isn't always the best
23 with a lot of the country out there. So were there
24 any suggestions?

25 MS. MILLER: We did discuss that, and there

1 were no concrete suggestions that came out of the
2 workgroup, but I do think there was a lot of
3 discussion about inconsistent messaging, messaging
4 that takes too long to get out.

5 And the fact that -- and that's one of the
6 backbone pieces of this effort is to get that
7 information out more quickly, because in that space
8 between when we get the ask and we issue whatever it
9 is, you know, the response, misinformation steps into
10 the void. It makes it a whole lot harder to respond
11 to that misinformation and then try to get our message
12 out than if we had our message out from the very
13 beginning.

14 And so I think that some of those things, I
15 think the workgroup was planning that this would help
16 that situation. And also we discussed somewhat the
17 inconsistent messaging across the federal agencies,
18 and that's another thing that we're going to be
19 working on.

20 MR. TUCKER: Yeah, but I think the one thing
21 I was trying to point out was the public's confidence
22 in that message, and I think that's really what is key
23 in that point.

24 MR. KEIGWIN: Sharon?

25 MS. SELVAGGIO: Hi. Thank you for this

1 presentation. I have a couple of comments. One on
2 the communications page about standard statements. I
3 think these are important, but, you know, from reading
4 labels, for instance, there's a lot of standard
5 statements on labels, and while these do promote
6 consistent messaging, understanding, and, you know,
7 kind of a general understanding that can extend over
8 time, sometimes standardized statements also kind of
9 lull people into a sense of complacency. Like they're
10 not telling me anything new here, you know? There's
11 nothing specific about this particular emergency or
12 response to it that I need to pay attention to.

13 And so I think that it will be important not
14 to use any standard statements that get developed to
15 substitute for any specific measures that need to be
16 taken into account, because as is stated somewhere in
17 here, every emergency is a little bit different. And
18 so to ensure that the other resources that are of
19 concern during any particular emergency is taken into
20 account in a site-specific and time-specific way, I
21 think it's just going to be important to pay attention
22 to the specifics of the situation and not use standard
23 statements to sort of cover all your bases.

24 One other comment I have about the Section 18
25 process, and just to build on what Amy was talking

1 about earlier in terms of the discussion we had about
2 evaluation. The Section 18 process is, you know,
3 designed, if I understand it correctly, for
4 emergencies. Correct? So this allows EPA to allow a
5 higher label rate, perhaps, or a use on a crop or in
6 an area that might not be on the original label.

7 And I'm curious about the process that's used
8 to both approve Section 18, and I want to ask the
9 Public Health Workgroup about considering an
10 evaluation process on Section 18 exemptions that would
11 take into account evaluation of other resources that
12 whether it be public health, environmental health, et
13 cetera, so that we know that the Section 18 process is
14 working in a way to address the emergency without
15 compromising those other resources and values.

16 MR. KEIGWIN: Liza?

17 MS. TROSSBACH: I think I agree with the
18 previous speakers. I think this is a great document,
19 I think it's a great effort. I like the proactive
20 approach, you know, preparedness versus response. For
21 the communication area, I think messaging is very
22 important. There's a lot of good information out
23 there, a lot of not good information, and sometimes
24 you can get that confused.

25 I would just offer that for the

1 communication, really one of the suggestions may be
2 identifying different ways to communicate. We have so
3 much, you know, social media now, Facebook and
4 Twitter, and I know EPA has a Twitter account, which I
5 follow, by the way, but, you know, but the social
6 media, and I'm certainly not well versed enough to say
7 all those different avenues, but I think what's become
8 clear is that it needs to be quick, concise, it needs
9 to catch your attention, it needs to be immediate.

10 From time as a government official, I'm very
11 well aware of how some things take time, and
12 unfortunately, sometimes we don't always have a lot of
13 time. So a way to expedite those processes and
14 messages getting out, and that would be within EPA,
15 across other federal agencies, I think just some
16 effort in that area.

17 And then also the states and the folks at
18 this table. You know, part of that having confidence
19 in government comes from within the Agency, but also
20 from your partners, your stakeholder groups, and
21 having them have confidence as well and sharing that.
22 And I think part of that is the type of message, how
23 quickly it gets out, that we're all on the same page,
24 and I think that using some of the social media and
25 some of the new technologies and unique ways to do it.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

You know, whether it's an app on your phone or a video clip or a testimony or whatever it is that Sharon was saying to catch that person and not have them hearing the same thing over and over. So somewhere some comments about how to approach that.

MS. MILLER: Thanks, Liza.

Anyone else have comments?

(No response.)

MS. MILLER: Should we go to the phones?

MR. KEIGWIN: So, Richard or Andrew or Iris?

MR. GRAGG: Richard has -- I do have some comments. I want to start with saying it was an excellent report, but I have two areas. One is that -- I'm in north Florida, in the panhandle, and we've had several storms and events here, and one of the impacts is that a lot of the rural jurisdictions, municipalities and counties, both, really weren't prepared for anything, and I think it was due to the lack of resources.

So I think that's something I'd like to see the report addressed or recommend that needs to be addressed. Because the communications is great, but if you don't have the resources to do the preparedness, then those two don't add up.

1 The other point is that I would like to
2 suggest that the report or the next steps are also
3 called for preparedness that accounts for different
4 types of impacts of these emergency and disaster. I'm
5 talking about natural disaster events.

6 So, for example, in the Carolinas -- I think
7 it was Kentucky. So in the Carolinas, we had all the
8 flooding, so that's just an example. So it's not only
9 preparedness, but it's preparedness for the specific
10 types of events and impacts.

11 MS. MILLER: So this is Wynne. One thing I
12 did want to kind of point out a little bit that we
13 talked about early on, Andrew, was that one of the
14 things that these guys were tasked with was coming up
15 with suggestions on how we could do a better job in
16 regards to when it comes to pesticide related, you
17 know, emergency. Whenever OPP is involved and
18 pesticides are involved.

19 So I guess my question back to you, when you
20 talked about lack of resources, I mean, you know,
21 there's a lack of resources when it comes to the
22 local, state, and at the federal level, and I guess my
23 question is, were you making that comment in regard to
24 pesticide related things or was that just a globally
25 overall lack of resources?

1 MR. GRAGG: Well, it's global, but it impacts
2 the preparedness for response, for emergencies. And
3 it could be a specific pesticide event, but it can be
4 a pesticide event that's triggered through a natural
5 disaster. And so I guess we're talking global
6 resources.

7 So it's just the reality that we can have
8 communications -- in the report, in the comments was
9 that the report was more about preparedness and
10 helping to foster preparedness, and I just think the
11 -- from the reality point of view, that we have to
12 consider that these -- certain of these jurisdictions
13 do not have the resources to really attend to these
14 type of things.

15 MS. MILLER: Okay. Thanks, Andrew.

16 MR. GRAGG: It's Richard. Richard Gragg.

17 MS. MILLER: Richard.

18 MR. KEIGWIN: So I see Aaron, then Sharon,
19 then Amy.

20 MR. HOBBS: Great. Just in recognizing the
21 workgroup, opening that up to a broad group of
22 stakeholders and for facilitating a lot of thoughtful
23 discussion about this issue. I think we have
24 participated in this process and are happy with the
25 document that's before us, and I also think it was

1 helpful to further educate members of the PPDC and
2 other participants about what the Agency's role is and
3 is not in an emergency response.

4 Just as a member of the PPDC, I want to
5 recognize that it is mentioned here and it's been
6 mentioned several times this morning, when we're
7 talking about a public health emergency, such as a
8 hurricane response, I just want to recognize, it's not
9 -- the EPA is not the lead in responding to that. And
10 I think that -- I'm afraid that continues to be missed
11 that when we were doing Zika, for example, EPA has a
12 role, and but when we look at the resources that are
13 available and committed to that response by the
14 Government, EPA is probably not the -- is not the
15 biggest player in the room there.

16 So I think this is important, I think there
17 has been good dialogue, I think being better prepared
18 for our role in emergency response is appropriate, and
19 I think maybe we could still do some more education
20 about things that the Agency is a part of and things
21 that are outside of its purview, even if you wanted to
22 do it. But thank you.

23 MS. MILLER: Thanks, Aaron. Yeah, that came
24 up a lot, you know, EPA's role. And again, we
25 couldn't think of an example where we were the major

1 player when it came to the lead role, but yes, we do
2 support a lot of other agencies and that's one thing
3 that we thought we could try to figure out that this
4 group was suggesting should be clarified as what kind
5 of support role do we play in different events.

6 MR. KEIGWIN: Okay, Sharon and then Amy.

7 MS. SELVAGGIO: This might go to the role
8 question a bit, but one kind of emergency that's not
9 listed on page 1, and I'm wondering if it should be
10 within the scope of this workgroup, is basically the
11 unplanned release of pesticides from either plants --
12 I know that there's a ton of information and labels
13 and in pesticide safety stuff about bills that
14 occurred during use, but when we think about some of
15 these public health emergencies that we've just been
16 talking about, such as hurricanes and in the news
17 about -- you know, just a few days ago there was an
18 explosion of a chemical plant in Illinois, that
19 basically prevented -- I don't think this was actually
20 a pesticide plant, but, you know, there's a concern
21 when something like that happens that people are going
22 to inhale contaminants. During the flooding that
23 occurred as part of the hurricanes, people were
24 exposed to a variety of different contaminants in the
25 flooding.

1 And so I'm thinking about basically that the
2 point sources that are really important to make sure,
3 and maybe this is an OSHA responsibility more than an
4 EPA responsibility, I'm not sure, but for any
5 pesticide source plants and manufacturing plants, I
6 think, you know, it might be helpful to think about
7 those as well, because we know what the risks are of
8 basically unplanned releases of pesticides and the
9 explosion risks and all of that.

10 So I guess my suggestion is that that be
11 possibly considered by this workgroup as well.

12 MS. MILLER: Yeah, we actually discussed that
13 to some length and it does touch into the role and the
14 responsibility of -- it's really OPP, not EPA. So EPA
15 most definitely has a role and maybe even the lead
16 role in some of the events that you're describing, but
17 the Office of Pesticide Programs does not lead those,
18 they would be led by the Office of Water, the Office
19 of Solid Waste, the Office of Emergency Response. You
20 know, any of those types of places, but OPP would then
21 advise and provide and respond. Provide support.

22 MR. KEIGWIN: Okay, Amy and then Laurie Ann.

23 MS. LIEBMAN: First of all, I would like to
24 commend this group because I think they've done a
25 great job. One of the things that I'm maybe not

1 picking up or what's missing here is how live of a
2 document is this? Because you really should have a
3 section on followup. Do you have something for
4 critical incident debriefing or evaluation? Talking
5 about the successes and the difficulties that you had
6 during that event and you feed that back into the
7 preparedness for the next similar event so that you
8 have this ongoing live document that actually is
9 adopted as we learn from unfortunate events?

10 MR. JONES: Sorry, I don't have the document
11 in front of me, but that was discussed and it's in the
12 detailed document. Afterwards, we had recognized a
13 lot of federal agencies will go through and do a post
14 event review or a term similar to that. You know,
15 because you've got to learn from any mistakes or
16 look for those opportunities to improve. So, you
17 know, we did recommend that that be -- or suggest that
18 that be part of the process. But yeah, valid point,
19 we agree.

20 MR. KEIGWIN: Laurie Ann?

21 MS. BURD: I just wanted to raise my concern
22 about the definition of "emergency" here and recommend
23 that the group consider changing that. While I
24 recognize that what you are working on right now is
25 this disaster preparedness element of an emergency, it

1 really narrowly defines emergency. So a situation
2 where pesticides ameliorate the emergency, and as I
3 mentioned, and as Sharon mentioned, there are also
4 incidences of emergencies where pesticides are the
5 issue. So I would hate for the workgroup to overlook
6 those for no good reason.

7 I don't believe emergency is defined that way
8 in any other context, is there? Or is there any
9 other?

10 MR. KEIGWIN: So I think the charge to the
11 workgroup, just to be responsive, had to deal with
12 natural disasters and what OPP's contribution to that
13 would be, but I think what I'm hearing you say is an
14 area for maybe the next charge to the workgroup,
15 perhaps?

16 MS. BURD: Or just describe that in the
17 charge, not in the definition of an emergency.

18 MR. KEIGWIN: Yeah. Thank you for that.

19 All right, any other comments on the
20 workgroup's product from this morning?

21 (No response.)

22 MR. KEIGWIN: So it's a very robust set of
23 suggestions. What they are at this point is
24 suggestions, so what we would need from you all is a
25 recommendation to bring these back to the Agency for

1 further consideration, and so I'd like us to have some
2 discussion about that. And within that, the extent to
3 which if there are in these four response areas a
4 relative priority we were to focus -- if we were to
5 take this back as a recommendation.

6 So let me just see if there's any feedback on
7 that question to you all. Or is it all of it? And
8 that's fine, too.

9 Do you all want time to think about it and we
10 can come back to this? Because everything I heard was
11 very positive about the workgroup's efforts, so I just
12 want to make sure that if what we want to do is adopt
13 their suggestion as a recommendation, we can move
14 forward. Maybe, Damon, you might help us with this.

15 MR. REABE: You might -- you're probably
16 going to help me out a little bit. Just because it's
17 a procedural thing, I might not fully understand. In
18 order to formalize the work that the workgroup has
19 done, the PPDC would need to be -- and so I would
20 fully support the work that the workgroup has done and
21 ask that it become formally suggested.

22 UNIDENTIFIED SPEAKER: Second.

23 MR. KEIGWIN: Anyone opposed to bringing this
24 forward as a recommendation in all four response
25 areas?

1 (No response.)

2 MR. KEIGWIN: Okay. We will bring this back
3 as a recommendation.

4 I think we have about 10 minutes left in this
5 session, so I think with this report back from the
6 workgroup, they have fulfilled the charge that we had
7 given them, but the second piece that the workgroup
8 wanted to spend some time on today, and we had some
9 suggestions as part of this discussion, is what would
10 be the next charge that we would give to the
11 workgroup. And as part of that, we would probably
12 look for a partial refresh of the workgroup, depending
13 upon the topic given, bring in people with those areas
14 of expertise or interest.

15 So let me open it up -- I don't know, did the
16 workgroup have some suggestions on additional areas,
17 or how did you all want to proceed?

18 MS. MILLER: We did have a suggestion for the
19 hospital disinfectants and a couple of issues that
20 they were interested in addressing on that. That's
21 really -- we didn't spend a whole lot of time
22 discussing this. I'm sure that there will be members
23 of the workgroup that will have other suggestions as
24 well, but we would really welcome input from everybody
25 on the full PPDC, too.

1 And then there was the earlier suggestion
2 from Laurie Ann when it came to acute poisoning,
3 pesticide poisoning. So I guess the question is, are
4 there other things that people are thinking of that
5 you might want a workgroup to -- a Public Health
6 Workgroup to tackle? Because again, whatever we
7 decide to tackle, then that might drive who's going to
8 want to participate on the next Public Health
9 Workgroup.

10 So are there other suggestions for things
11 related to public health?
12 Damon?

13 MR. REABE: I don't know if this fits into
14 the scope, but would it be appropriate for the EPA to
15 look into the impacts of public health when a
16 pesticide application is not made? It would seem like
17 that would tie in really nicely with consistent
18 messaging and a better understanding of the public of
19 what's being done and why it's being done. Does that
20 -- I don't know, that's just a random thought.

21 MR. KEIGWIN: Liza and then Amy.

22 MS. TROSSBACH: To follow up on Damon's
23 comment, I was going to suggest not only with the
24 previous recommendation that went forward, but should
25 we go -- should the group go to the acute and chronic

1 pesticide exposures in dealing with the public health
2 perspective. I do think there needs to be a
3 discussion about the benefits and risk of pesticides.
4 Certainly, you know, there are risks to pesticides,
5 but there are also benefits to their judicious use,
6 and I think that needs to be kind of put at the
7 forefront of any discussion.

8 Integrated pest management is important, how
9 you can do things but sometimes that use is needed and
10 then the legal use of that and all those protection
11 and public health, you can be in a health environment,
12 so I think that would be a key message. I think
13 sometimes we don't really talk about the benefits
14 because it's pesticides and, of course, there are a
15 lot of risk concerns, but it's part of the use of
16 those products and why they're legal for use and I
17 would just suggest that that be part of that as well.

18 MS. MILLER: Thank you, Liza. I think that
19 that also is an issue that the current workgroup did
20 address, and that we are planning. It is on the -- if
21 you look in your thing, there is a discussion of risks
22 and benefits and what happens as far as if you don't
23 use anything, if it's being done for disease control
24 or if it's being done for other sorts of medication.

25 So that is actually an output, but it's good

1 to hear from you, because that kind of tells us a
2 little bit about priorities and everyone's interests,
3 but this is another option -- another thing on our
4 current workgroup.

5 MR. KEIGWIN: Okay. Amy?

6 MS. LIEBMAN: So I've talked about this --
7 no, they won't.

8 MR. KEIGWIN: Yeah, but can you (inaudible.)

9 MS. LIEBMAN: Okay. Let's try this. And in
10 terms of even the name of this group, the Public
11 Health Workgroup, and, you know, it looks like what
12 your scope has been to really look at OPP and what happened and
13 what happens during an emergency where there is a
14 flood and all of the sudden you have, you know,
15 mosquitos that need to be controlled. But if we're
16 looking for new work for the Public Health Workgroup,
17 it would be great for it to be address other public
18 health needs.

19 And one of the cornerstones for anyone that
20 studies public health or knows public health, in this
21 area, is surveillance. And understanding what happens
22 when pesticides are on the market and used, whether
23 it's going to be in the emergency situation or every
24 sort of everyday use of pesticides. And we have a
25 really haphazard system right now in terms of how

1 incidents are reported from the occupational aspect of
2 it, we have the sensor program that is funded by I
3 believe EPA and NIOSH, and that is where, you know,
4 incidents are reported to State health departments or
5 an appropriate lead Agency in order to understand
6 what's happening and to go out and respond to those
7 incidents.

8 And I believe that currently that only takes
9 place in 12 states. It might be 13 -- 12 states. So
10 if we really want to address the public health -- you
11 know, begin addressing some of the public health
12 concerns regarding pesticides use, surveillance is
13 this cornerstone like the white elephant, we're not
14 talking about it enough.

15 And we really need to. If we're going to
16 register pesticides and put them on the market, we
17 need to understand what happens to them once they are
18 used and what happens -- in particular I'm concerned
19 about the human beings that are exposed and having a
20 much stronger, more robust instant reporting system in
21 place. And then be able to respond. You know, the
22 whole idea of the surveillance is to be able to
23 respond to that.

24 So that's a huge need that, you know, the
25 Agency needs continued sort of support to address

1 that.

2 MS. MILLER: Thanks, Amy. And I'm wondering
3 does some of that maybe tie into what Laurie Ann was
4 maybe bringing up a little bit, because wouldn't some
5 of the discussion play into incidents and surveillance
6 as well? I'm just trying to think, you know, tie some
7 of the things together.

8 MS. LIEBMAN: I think it could, but really,
9 this is something that all of us should be concerned
10 about in terms of once they're put into use, what
11 happens. And, you know, we talked about sort of
12 looking at some of the effectiveness, but really, a
13 surveillance -- a robust surveillance system that is
14 not piecemeal, it's not only in 12 states, you know,
15 ideally we would like a national system, but there
16 needs to be more emphasis put on that. And that's
17 public health.

18 MS. MILLER: Thanks.

19 Anything else? Laurie Ann?

20 MS. BURD: I just want to say, you know, I
21 feel like that's a pretty separate thing from what I
22 was mentioning. I think it's really important. I
23 think it's a great suggestion, but it's an important
24 other piece. You know, that also gets more of the
25 chronic exposure. You know, what I was mentioning was

1 the 200,000 people who die each year, which is a
2 pretty astounding number of acute poisoning incidents
3 that are occurring, and this is a more robust
4 monitoring system that you're describing for seeing
5 what happens once they actually get out in the
6 environment. So I want to support that and also say
7 they're kind of not exactly the same thing.

8 I also want to mention another public health
9 crisis, United Nations Global Assessment on the State
10 of Biodiversity just found that one million species
11 are heading toward extinction in the very short term.
12 It names pesticides as a cause of extinction, and it
13 gets pretty detailed about the impacts that that will
14 have on humans, and one of those impacts is a threat
15 to our food security. I won't go into all of the
16 impacts. It's a pretty sobering report, if you
17 haven't read it yet. I think that the public health
18 working group would -- should look at that report and
19 its findings and consider the impacts of the
20 pesticides that it's registering on the extinction
21 crisis as to how -- as it relates to public health.

22 MS. MILLER: Thanks, Laurie Ann.

23 MR. KEIGWIN: Charlotte?

24 MS. MILLER: Charlotte?

25 MS. SANSON: I just wanted to just make a

1 comment on the acute poisoning statistic that was
2 given. While any acute poisoning due to pesticides
3 exposure is tragic, I think when you look at that
4 200,000 number and see that that is a global estimate.
5 In the U.S. we're very fortunate that acute pesticide
6 poisoning is a very, very small percentage of that,
7 and most of those are suicide.

8 So while I think it's an important factor to
9 include in this Public Health Workgroup, I just don't
10 see the need to blow it out of proportion and just
11 take it for what it is. I think there's a good reason
12 why in the U.S. we have very low percentage of that
13 number because of the system that we have in place
14 here. So I'm not discounting it, believe me, I think
15 it's -- any pesticide poisoning and a death due to
16 pesticide poisoning is tragic, but let's just keep it
17 in context.

18 MS. MILLER: Thanks, Charlotte.

19 Amy?

20 MS. BURD: So I think, again, surveillance
21 comes into this. I mean, deaths are -- whether you
22 die or you don't die, and they're pretty -- they are
23 strongly reported, but sometimes we don't know the
24 cause of that. And so acute poisonings that do occur,
25 one of the issues is underreporting, and that's what a

1 surveillance system would do. So when we talk -- when
2 we talk about some of the impacts of pesticide
3 exposure, there's just a lot that we don't know
4 because of our weak surveillance system.

5 And again, from the occupational piece,
6 there's like a tiny little piece in 12 states that's
7 taking place, but that should be in every state so
8 that we understand not just the deaths, but like if
9 someone is acutely poisoned, and I think we just have
10 this tip of the iceberg of a reporter happens to be
11 standing near a field when workers get exposed. We
12 don't -- if it happens to take place in California
13 where there's more robust incident reporting
14 mechanisms in place, those are some things that,
15 again, would help us with some of the numbers in the
16 U.S.

17 MS. MILLER: Okay, thanks, Amy.

18 Any other comments? Thoughts?

19 (No response.)

20 MS. MILLER: So we've got a little bit of a
21 list here. I guess one thing that in the back of my
22 mind is whether or not this group wants to, you know,
23 come up with a list, have a recommendation for the
24 next Public Health Workgroup, for you guys to decide,
25 or if you want to wait until the fall, you know, till

1 that group comes in and so that they have a chance to,
2 because I guess at some point we're going to have a
3 new PPDC, whether or not you want them to have a
4 chance to think about what the next Public Health
5 Workgroup should tackle.

6 So I'm going to kind of leave it to you, how
7 you want to do that, because that's your decision on
8 what you want to put forth. You know, whether or not
9 you have a list you want to generate for them, and
10 they also can think about the list, or you want to
11 decide on something now, or just in the next couple of
12 months.

13 So let me ask that question. Thoughts?

14 MR. REABE: It would seem for the purposes of
15 continuity to maintain the list of suggestions that's
16 been made by this group, forward it to the new PPDC
17 committee, right, and then have them finalize the list
18 and begin that work on it. If I was a -- if I was on
19 that workgroup, for instance, I would find that
20 probably to be helpful.

21 MS. MILLER: Okay, thanks, Damon.

22 Anybody else?

23 (No response.)

24 MS. MILLER: Okay. Anyone on the phone, any
25 more comments?

1 (No response.)

2 MS. MILLER: Okay, then that's what we'll
3 have is that list ready for the next fall workgroup
4 when they come in. And then they can decide what they
5 want the Public Health Workgroup to tackle and the
6 members of that group. Thank you very much.

7 MR. KEIGWIN: Okay. Lunch.

8 UNIDENTIFIED SPEAKER: If you don't mind, if
9 I could just ask a question about that, because I'm a
10 bit confused. Because you had said earlier that you
11 -- I guess you had asked us does anyone oppose any of
12 these recommendations and, of course, we had a lot of
13 discussion and it sounded like this was going up as a
14 recommendation. I guess I'm just wondering will the
15 EPA take action on any of these over the next six
16 months or will you wait for additional recommendations
17 perhaps to come in for the next phase? I'm just
18 confused.

19 MS. MILLER: Let me clarify, then. So for
20 the suggestions for the emergency preparedness, those
21 suggestions which you guys are recommending back to us
22 that EPA look at those, we're going to take that
23 forward, right? But the list we were asking for for
24 the next Public Health Workgroup to tackle, what
25 should they be looking at next. That list, I think

1 what we're saying right now is, hey, we'll give that
2 list to the next full PPDC, and let them look at that
3 list and decide, okay, we want the Public Health
4 Workgroup to tackle this now. You know, since they're
5 done with this other one. Does that make sense?
6 Okay. Sorry if I confused people there.

7 MR. KEIGWIN: And perhaps a friendly
8 amendment, last question for the committee, to help
9 inform that selection is we could have -- we've heard
10 what the topic areas could be, but perhaps we could
11 have the workgroup kind of put a little bit more meat
12 on the bone so to speak about what each of those
13 suggestions were so that the new PPDC, however it's
14 constituted, has kind of the benefit of some thinking
15 going into a selection process at the next PPDC
16 meeting.

17 Does that -- that way the Public Health
18 Workgroup has something to be working on while, one,
19 the Agency is considering the recommendation that you
20 all have just made regarding an emergency
21 preparedness, but then for the next PPDC meeting,
22 there is an opportunity for a forward discussion
23 around the topics. So maybe some additional topics
24 that may come up through the workgroup's
25 deliberations. Are people supportive of that

1 approach?

2 (No response.)

3 MS. MILLER: Sounds good. Thank you very
4 much. And thanks to our public health 20 plus or so
5 members of this Public Health Workgroup who helped
6 with the suggestions that they put forth to you guys.
7 They have been a dynamic group and we have really
8 enjoyed working with them. So thank you very much.

9 MR. KEIGWIN: Thanks, everybody. We will
10 reconvene at 1:00. Have a good lunch.

11 (A lunch recess was taken.)

12

13

14

15

16

17

18

19

20

21

22

23

24

25

1 AFTERNOON SESSION

2 MR. KEIGWIN: All right. I hope everybody
3 had a good lunch. We will move on to Session 3, OPP
4 Farm Bill Implementation and Hemp. Nobody is
5 listening. It's like at home.

6 So with this, I'm going to turn this over to
7 Ed Messina, who is going to chair this next session.

8 MR. MESSINA: Thank you, Rick. So this topic
9 is of great interest to the Agency and the country.
10 And every time we talk about it, I learn something
11 new. EPA is new in this space, in hemp being
12 legalized. And I've got some slides which we're going
13 to present.

14 And while we're setting it up, I have a great
15 panel of folks who agreed to come talk to us and
16 provide us information. I'm going to do a run-through
17 of basically what the Farm Bill allows just sort of as
18 an overview and then have some charge questions for
19 PPDC, and also if there's other questions or items you
20 think we need to ask as part of this, I'll turn it
21 over to the group. And I'm going to ask folks to
22 identify themselves when I mention their names.

23 So from USDA, we have Dr. Patty Bennett, who
24 is sitting next to me. Dr. Bennett is the current
25 director of the Marketing Orders and Agreement

1 Division with the Agricultural Marketing Services
2 within USDA, working on -- working with industry to
3 provide stable markets for specialty crops.

4 And prior to that, she was the Food Safety
5 and Inspection -- at the Food Safety and Inspection
6 Service for 13 years. Dr. Bennett obtained her DVM
7 from the University of Florida; holds a masters of
8 science and biology from Old Dominion University, and
9 a master's of public policy from George Washington
10 University. And she's also a board-certified --
11 board-certified in veterinary and preventative
12 medicine. So welcome and thank you for talking.

13 DR. BENNETT: Thank you.

14 MR. MESSINA: And then we have Liza Fleeson,
15 who you all know from -- and she's representing the
16 Association of American Pesticide Control Officials.
17 She currently serves as the program manager for the
18 Virginia Department of Agriculture, Consumer Services
19 Office of Pesticide Services.

20 In this position, she directs the statewide
21 pesticide program and administers the Virginia
22 Pesticide Control Act and related regulations. She
23 serves as the AAPCO representative to PPDC. She's the
24 chair of the FIFRA Issues Research and Evaluation
25 Group, which is SFIREG. And throughout her career,

1 Liza has worked in environment and public health
2 programs with the Department of Health, Corrections
3 and Agriculture. So that's Liza, who is going to give
4 the state's perspective on this.

5 And then we have folks from the Kentucky
6 Department of Agriculture and Mr. Michael Williams.
7 And Michael is the director for the Division of
8 Environmental Services at KDA's office, charged with
9 the responsibility of pesticide product registrations
10 in Kentucky. And I believe he's on the phone,
11 Shannon, right?

12 MS. JEWELL: He will be.

13 MR. MESSINA: Will be on the phone. Okay.

14 MR. WILLIAMS: Yes, sir. We're on and can
15 hear you.

16 MR. MESSINA: Great. Thank you. And we have
17 University of Kentucky, Dr. Pierce. Dr. Pierce is a
18 tobacco extension specialist and interim director
19 (recording malfunction) program at the University of
20 Kentucky, College of Agriculture, Food and
21 Environment.

22 Dr. Pierce grew up on a small Kentucky farm
23 helping to raise corn, soy beans, hay, and burley
24 tobacco. He received his BS and MS degree in agronomy
25 from the University of Kentucky, and a PhD in soil

1 chemistry from the University of Georgia. And during
2 his 25 years as an extension specialist in Kentucky,
3 he has worked on tobacco transplant production
4 systems, soil fertility for burley tobacco,
5 conservation tillage methods for burley tobacco and
6 sucker control programs.

7 Recently, he has studied the application of
8 tobacco style growing system to hemp production and
9 screened potential herbicides that could be useful for
10 hemp production.

11 And then we have from the commercial
12 perspective on hemp and CBD production, we have Mr.
13 Steve Bevan from GenCanna. Steve is the president of
14 GenCanna, a company focused on scaling premium
15 agricultural hemp production for food products.
16 GenCanna is working with local farming partners and
17 state universities to develop and deploy novel hemp
18 propagation and cultivation techniques that increase
19 efficiencies in yields. Steve is also chair of the
20 U.S. Hemp Roundtable and treasurer of the U.S. Hemp
21 Farming Alliance.

22 And then we have from Murray State University
23 from the Academic Regional Economic and Agricultural
24 Development perspective, Dr. Tony Brannon. Dr.
25 Brannon serves as the dean of the Hutson School of

1 Agriculture at Murray State University in Kentucky.
2 He's served on the faculty at MSU for 31 years. He's
3 also been a leader in Kentucky agriculture serving two
4 terms as the chairperson of the Kentucky Agricultural
5 Council, both times leading and implementing a
6 statewide task force that developed two successive
7 strategic plans. And Dr. Brannen has got an extensive
8 bio, which I will commit to further reading.

9 And then I think that's it, right, Shannon?
10 Or do we have --

11 MS. JEWELL: Yep.

12 MR. MESSINA: That's it for this session?
13 Yes. So a great group of folks are going to provide a
14 perspective for the Agency on this new topic for where
15 we've only recently been involved in. And with that,
16 I'm just going to go over -- set up the discussion,
17 sort of the three Farm Bills, sort of what's happened;
18 talk a little bit about hemp. We'll go to questions
19 for the PPDC to sort of contemplate.

20 So 2014 is sort of the beginning of some of
21 this new process. The 2014 Farm Bill -- and I tend to
22 call the Farm Bill the enacted Farm Bill. As an
23 attorney, it ruins my School House Rock sensibilities
24 to call it the Farm Bill because, you know, it's a law
25 now. And the 2014 Farm Bill was -- allowed hemp if

1 the industrial hemp was cultivated for purposes of
2 research, which included a number of topics under
3 research. And it was allowed under state law. So you
4 had growers applying for the 2014 ability to grow
5 hemp.

6 We then moved on to the 2018 Farm Bill. And
7 these are sort of direct quotes from the Farm Bill to
8 give you a sense of how this progressed. So in one
9 small pen stroke, minimal amount of words, hemp was
10 removed from the Controlled Substances Act, making it
11 legal for the production. Similar to the program in
12 2014, the Department of Agriculture controlling sort
13 of the licensing and how those things would be grown.

14 And then hemp, important to understand that
15 it -- and I'll just read the definition and then talk
16 about, you know, it's not just a plant. Hemp means
17 the plant *Cannabis sativa* L. and any part of that
18 plant, including the seeds thereof and all
19 derivatives, extracts, cannabinoids, isomers, acids,
20 salts, and the salts of isomers, whether growing or
21 not, with the a delta-9-THC concentration of not more
22 than .3 percent on a dry weight basis. So that is the
23 legally compliant cannabis product called hemp.

24 So then if you want to grow hemp and you're a
25 state or a tribe desiring to have primary regulatory

1 authority over the production of hemp in your state or
2 territory, you submit an application to the Secretary
3 of Agriculture -- through the State Department of
4 Agriculture in concentration with the governor and the
5 chief law enforcement of the state or the tribal
6 government, and plan under which the State or Indian
7 tribe is going to monitor the cultivation of growing
8 of the hemp in their jurisdiction, so working with the
9 Department of Commerce -- the Department of
10 Agriculture.

11 And then in that, in the case of a State or
12 Indian tribe for which the state or tribe plan is not
13 approved under 29B, the production of hemp in that
14 state or territory of that Indian tribe shall be
15 subject to a plan established by the Secretary of
16 Agriculture. So there's mechanisms for having the
17 state submit and then having the Department of
18 Agriculture (inaudible). And he'll be saying a couple
19 things about that.

20 So there's certain violations that are
21 attached for the plans. Failing to provide a legal
22 description of the land on which the producer produces
23 hemp; failing to obtain a license or other required
24 authorization from the State Department of Agriculture
25 of tribal government as applicable, and then producing

1 Cannabis sativa with a delta-9-THC concentration of
2 more than .3 percent on a dry weight basis. So
3 certain violations that attach that are written into
4 the statute itself in the enacted Farm Bill.

5 And then interstate commerce, another
6 provision of the Farm Bill I'll draw your attention
7 to, which is -- nothing in this title or amendment
8 made by this title prohibits the interstate commerce
9 of hemp or the Agricultural Marketing Act of 1946, and
10 then for the transportation of hemp and hemp products,
11 no State or Indian tribe shall prohibit the
12 transportation or shipment of hemp or hemp products
13 produced in accordance with this subtitle. And so
14 that's covering the interstate transportation of what
15 is now legalized hemp.

16 So from EPA's perspective -- and I know this
17 -- you know, this topic is of interest on the national
18 level, but we are -- as the Federal Government,
19 particularly the EPA, we're somewhat late to the game,
20 which is why it's important really to hear from folks
21 in this industry that have experience. We did not
22 receive any applications for hemp products as part of
23 the 2014 bill, so for registration of products to be
24 used on cannabis or hemp as part of the 2014. And we
25 currently have no applications pending for the

1 registration of hemp for the 2018. We're, I think,
2 potentially getting close to receiving -- or at least
3 in sort of my awareness.

4 Some of the pesticide labels that we have had
5 in the past, they've listed hemp. There's maybe a
6 handful, less than, you know, five. They were
7 thinking of rope at the time. They weren't thinking
8 of all the new uses for these hemp products when they
9 were approved. And there are no tolerances currently
10 in place established for marijuana or hemp in terms of
11 labels.

12 And so as we -- as we hear from the speakers,
13 I think there's a number of areas that EPA could
14 really use feedback because this is a new agricultural
15 commodity; because of the interest in growing this and
16 because of what we understand are going to be the weed
17 pressures that are going to exist, you know, growing
18 this crop. How can we help with registrants who want
19 to seek licensing and registration of these
20 pesticides; help with the analysis and the
21 understanding out there of what EPA is going to be
22 looking at when we receive these applications.

23 And in the slide, I have an appendix which is
24 somewhat outdated, but, you know, from 2018 on all the
25 variant from Congressional Research Services, and this

1 list is quickly outdated because there's many, many,
2 many uses for hemp that that's conceiving of and
3 different ways of extracting the oils.

4 You know, one of the questions will be, you
5 know, when you refine the oils from hemp, are you
6 bringing any substances along with the process? So
7 that's going to be some of the studies or information
8 EPA could be looking at for a registration submission.

9 And I think, you know, these are just some
10 small subset of questions that we are interested in
11 hearing from PPDC and the speakers and sort of, you
12 know, what is the production like and how are
13 chemicals being used or intended to be used for use on
14 these products? What are the crop production
15 requirements and how do workers interact with the crop
16 in terms of how it's grown and how is that different
17 from other crops that are out there. Are there new
18 and different exposures based on this crop that have
19 not been modeled by EPA?

20 I think there's certain surrogates that
21 exist, mint and hops and tobacco being certain
22 analogous crops that are out there, but maybe not
23 necessarily squarely fitting with the various uses
24 that we're going to be seeing for hemp and the CBD oil
25 that is sort of of great interest. And what are the

1 surrogate crops and similar scenarios that should be
2 considered in assessing the potential risk?

3 So among many other questions, these are sort
4 of just the ones that sort of bubbled up to the top,
5 and then how can we, in answering and understanding
6 these -- the answers to these questions, provide
7 information to registrants that are interested in
8 seeking adding hemp to the label with what type of
9 studies we're going to be looking at; how we're going
10 to be doing our risk assessments; waiting for other
11 agencies to make certain calls with regard to food and
12 the impact and the cascading effects that will occur
13 as a result of those sort of activities.

14 So we've been engaged in a number of
15 discussions. You know, it's only been since December
16 that we've been on the scene as authorized through the
17 Farm Bill, the enacted Farm Bill, and we are having
18 preliminary conversations with the growers, with
19 registrants, with other federal agencies, to really
20 get a lay of the land here. And so your input into
21 this process to make sure that we're looking forward
22 and being strategic about how we move into this phase,
23 which has already been sort of -- been operating in
24 the states and having to deal with some of the issues
25 before even the agencies here, the Federal Government,

1 have been working on them, will really be instructive
2 for how we move forward on that.

3 So, with that, I will turn it over to our
4 next speaker and welcome your comment.

5 DR. BENNETT: Good afternoon. Thank you so
6 much for having me. And truly as a product of School
7 House Rock myself, I appreciate the little homage to
8 "I'm Just a Bill." That was very cool. I would have
9 been even happier if you had broken out in song, but
10 we won't go there.

11 MR. MESSINA: I can promise you that won't
12 happen.

13 DR. BENNETT: You can always ask. All right.
14 So my staff, as Ed introduced me, we're actually the
15 ones who are writing the regulations to implement the
16 2018 Farm Bill enacted.

17 And so a couple of things I'll start out
18 with, and then I can kind of give you the basics of
19 how we are thinking about the regulations. First --
20 and this is something, and I say this to you because
21 of all the people that have come to us over the last
22 three months, recognizing that we were actually
23 furloughed for 35 days. And so for much of this work,
24 it's really happened at the end of January/first of
25 February. And so we really are moving at lightning

1 speed.

2 The Farm Bill -- the 2018 Farm Bill enacted
3 is actually quite limiting in what AMS will regulate.
4 And I think that's really important to emphasize
5 because us putting out the regulations, and when they
6 become effective in the fall, it's not going to answer
7 all of the questions. And it -- and it's not going to
8 solve all of the problems.

9 The language tells AMS that we are going to
10 oversee growing, farming. And as soon as products
11 clears testing, right, it's no more than .3, it no
12 longer is regulated by AMS right now. And so as it
13 moves into commerce, as it gets further processed, all
14 of those issues, that belongs to someone else. And
15 whether that's another Agency, whether those are state
16 decisions, just important to know that that exceeds
17 the limits of what AMS believes is our jurisdiction
18 with this particular Farm Bill.

19 And, additionally, we don't believe that
20 seeds are covered under our jurisdiction. Looking at
21 the Farm Bill, it says a product has to -- can't
22 exceed .3. It doesn't really talk about, well, the
23 seeds that you use or the seeds that you import or
24 anything like that.

25 So, again, we're about helping farmers grow

1 the crop irrespective of the seeds that they might be
2 using. So also very important, we have received so
3 many questions about seeds, what can they use, how can
4 they import, and that really is outside our
5 jurisdiction. That's really important.

6 The other thing that I will tell you that I
7 see a lot of because, again, my staff is also -- as
8 AMS is the point Agency for this initiative, we
9 receive so many questions. And many of them are just
10 -- in addition to what states come to us or tribal
11 nations come to us, or even organizations, industries
12 and stuff, it's individual growers who go, so how do I
13 grow this?

14 And I can't tell you how many times I have
15 answered, well, the first thing I need to do is send
16 you back to your State Department of Agriculture and
17 check with them and see what they tell you to do, and
18 whether or not you can even grow hemp commercially,
19 legally in your state. And a lot of people don't even
20 know that. I've had so many people from Colorado
21 email me and go, how do I grow this? I'm like,
22 really? You're from Colorado. So there's a lot of
23 education that needs to happen because individual
24 farmers just have no idea how to begin.

25 And I'm sure you've probably been told or

1 will be told, and we certainly heard it from so many
2 people who have visited with us over these past few
3 months, is it's not like you walk out into a field,
4 throw some beans into the ground and voila. It really
5 -- there's an art to this crop.

6 And especially because -- because there's
7 been a line drawn. Right? As long as it is no more
8 than .3, we call it hemp. If it's more than that,
9 then it is an illegal substance. And so -- so getting
10 people prepared to know how to grow hemp where they
11 live, I think that's going to be a challenge across
12 the country for all of us who are involved with hemp.

13 And so, again, just to let you know about
14 kinds of the questions that I've been seeing is that,
15 you know, people just don't even know how to begin.
16 And if they don't know how to grow it, they probably -
17 - or they may or may not be aware of what they can and
18 can't use in terms of pesticides.

19 You know, some of the anecdotal information
20 that we've received from states and from other
21 organizations, testing labs, people who have come and
22 talked to us, have said, you know, that when they test
23 for this crop for whatever reason is that, you know,
24 they are finding pesticides. And so we know that
25 there's most likely use at some level.

1 So those are the big points that I think I'd
2 like to convey. If you hear nothing else from me, is
3 that our regulations are -- you know, there's a
4 beginning and there's an end. It does not encompass
5 everything. There are many things that will need to
6 be decided over time. And so we need to be prepared
7 for that. And, also, again, just the fact that many
8 people are asking how to do that.

9 We do anticipate not only states and tribal
10 nations coming to us saying we have plans that we want
11 you to approve because we have growers that will grow,
12 but also for any state that won't have a plan or
13 tribal nation that won't have a plan, all of those
14 individual growers will come under the USDA plan. And
15 so it's working with all of those people. And we do
16 expect thousands of people to be registered at least
17 initially until this all kind of sorts out. So I'm
18 sure there'll be a big gold rush at the beginning and
19 then we'll kind of see how it falls out.

20 In terms of the regulation, I think we've
21 been thinking about it really in two parts, kind of
22 what I just said before. There's how do we set up the
23 guidelines, the rules, that a state or tribal nation
24 will need to follow if they have their own plan.
25 That's really laid out nicely in the statute. So if

1 you read the statute, then you understand that we need
2 basic information. People are either -- growers are
3 licensed or there's some authorization that they can
4 grow. There is a revision that you can't be a felon
5 to grow unless you've been grandfathered in. We need
6 information on the land that they're growing as well
7 as the states and tribal nations will need to have
8 some kind of compliance plan in place so that if crops
9 -- sometimes we call it hot crops, happen, that
10 they're disposed of appropriately, again, because they
11 are -- they have become an illegal drug at that point,
12 or they have an illegal chemical in them.

13 And then for the individual plants, or what
14 the USDA plans, individual growers that come under the
15 USDA plan, again, very similar. For the USDA plan,
16 the law tells us that we will have a licensing
17 program. Again, they cannot be felons unless they've
18 been grandfathered in under the 2014 provisions. And,
19 again, the same sorts of things. We will need to know
20 information about who they are, where they live, the
21 land that they're using to grow this crop; the crop
22 has to be tested before it can be moved into commerce.
23 Again, the extent of our regulations, they can't
24 exceed the THC level no more than .3. And, yeah, I
25 think that kind of covers the basic parts of what

1 we're doing.

2 I don't know that there's more than I can
3 tell you. We're moving very quickly to get the
4 regulations and declarants. So everything is becoming
5 predecisional. Nothing is -- nothing to me is final
6 until you see the regulations. What I can tell you is
7 that the Secretary has made it very clear that he
8 wants regulations in place, in time, in the fall so
9 that we can be preparing everybody for the 2020
10 growing season.

11 And in the fall, then we expect to be seeing
12 plans that will come across our desk to be approved;
13 also to go ahead and get people licensed again in time
14 for the 2020 growing season, planting season.

15 MR. MESSINA: Okay. Thank you, Dr. Bennett.
16 I'll turn it over to Liza.

17 MS. TROSSBACH: Thank you. As Ed mentioned,
18 I'm going to offer the pesticide regulatory official
19 perspective. Just as a reminder to the group, AAPCO's
20 membership is comprised of state lead agencies that
21 conduct pesticide regulatory work as well as
22 territories. We don't officially include tribes in
23 that. Tribes are separate. And so while I'm going to
24 be talking kind of in general about pesticide
25 regulatory officials and our perspective, if there's

1 something you need to tribes, I'm going to rely on
2 Eric to correct me or to add to the conversation
3 because, you know, again, we're primarily state and
4 territories. But I have a feeling we probably share
5 many of the same concerns.

6 Maybe I don't know how to do this. Maybe I
7 do. Okay. Or maybe I don't know what I'm doing.
8 Thank you. So, again, from the impacts of the 2018
9 Farm Bill as enacted -- I've learned that, now I'm
10 going to throw that into all my presentations moving
11 forward -- obviously now there's an allowance for the
12 commercial agricultural production of hemp, which is
13 very new to all states. As was mentioned before,
14 there were some states that did have programs that
15 allowed the production of industrial hemp for research
16 purposes. However, this is new because this is
17 commercial agriculture production.

18 So you have pesticide regulatory agencies
19 developing hemp programs. In many states, they are
20 proposing or amending current regulations to now allow
21 the commercial agricultural production of hemp.
22 Oftentimes, these programs involve some type of
23 credentialing program. So a grower may have to be,
24 you know, registered or licensed or whatever that
25 particular state, you know, indicates. And there are

1 specific requirements for that.

2 As you know, a state can be more restrictive
3 than the federal law but cannot be less restrictive.
4 So it is possible that some states may have more
5 restrictive requirements. There is still a lot of
6 ongoing research. There has been research into hemp
7 and so there continues to be research at the state
8 level.

9 Obviously, another implication is the options
10 for pesticide use on hemp. As Ed had mentioned, there
11 are very few products that actually list hemp on the
12 label, and there are no food tolerances or exemptions
13 from food tolerance for that. So that's another
14 issue. I'll talk about that a little bit more in a
15 moment.

16 Of course, other impacts. There's laboratory
17 testing not only for the THC levels, but from my
18 perspective on the pesticide use and the residues that
19 may be found in products. As I believe everyone
20 knows, the label is the law when it comes to pesticide
21 use. And so those labels are dependent on the site of
22 application. So it is possible that a product could
23 be used and then because it's not allowed to be used
24 on that particular crop, it could be an illegal use
25 and there could be a potential enforcement action, yet

1 a whole 'nother issue with regulatory programs.

2 Within states, there's also the developing of
3 the sampling protocols for hemp. As pesticide
4 regulatory officials, we all have investigators or
5 inspectors that work in the field. And this is
6 something new to them. You know, they're used to
7 taking samples, vegetative samples, water samples, but
8 what has to be taken for hemp, again, you know, a new
9 agricultural product?

10 There's method development for sample
11 analysis that many of our labs are either going
12 through or will have to go through. There's storage
13 and disposal of these samples, both from the
14 perspective of -- from the THC, from that programmatic
15 side, you know, if it's greater than .3 percent, they
16 have to be disposed of a certain way; if it's a
17 pesticide sample, that also has to be disposed of a
18 certain way.

19 Many agencies are putting out food safety
20 guidance for those food manufacturers and retail food
21 establishments that are interested in the
22 manufacturing or selling of food or dietary
23 supplements that contains a hemp-related product or
24 extract. For example, the CBD oil. And then there's
25 also guidance going out to processors planning to

1 produce hemp-derived products intended for human
2 consumption.

3 This is, you know, another one of those
4 items, you know, there's a determination or there will
5 be a determination whether hemp is considered, one, a
6 raw agricultural commodity, which will certainly
7 influence pesticide regulatory programs, as well as if
8 it's going to be considered a food crop. Right now,
9 you know, we don't know so that will impact pesticide
10 regulatory programs. There's transportation issues
11 with hemp. It looks exactly like, you know, hemp
12 versus marijuana.

13 For example, I think about my investigators,
14 if they were stopped for some reason, an accident, you
15 have the sample, let's say, that we had to take as
16 part of an inspection or investigation, is it hemp, is
17 it marijuana, and what are the implications for staff
18 who are involved as part of their normal practices.
19 And then, again, there's the destruction of a high
20 value crop, which are things that states need to
21 contend with as well as part of their programs.

22 So with the pesticide use on hemp, obviously
23 beginning with the previous Farm Bill, 2014 enacted,
24 there was research ongoing, you know, soils, growing
25 conditions, harvest methods and pests. I believe Ed

1 had mentioned weeds. There's also a whole group of
2 insect pests that are potentially -- or we know are
3 associated with hemp, hemp production, spider mites,
4 and then other bugs.

5 Hemp is many different kinds of crops.
6 There's extract, seeds and fiber, and we would expect
7 the pest management issues will vary depending on the
8 production method and the end use.

9 And as with all agricultural production, it
10 may be necessary to use pesticides to control some of
11 these application of pests. Again, as I had mentioned
12 before, all registered pesticides can only be legally
13 applied to sites, for example, crops for which they
14 are labeled. And prior to the 2018 Farm Bill,
15 Cannabis is not recognized as a crop. So hemp,
16 marijuana, ether of those. And so this crop does not
17 appear on many labels.

18 I had mentioned that there are a handful of
19 products that are registered for use. So there are
20 currently -- now, this is based on research that I did
21 from Virginia. I went to the National Pesticide
22 Information Retrieval Systems, or NPIRS, which lists
23 nationally products that are registered in each
24 respective state. I searched for Virginia, which is
25 where I'm from. And there are currently six

1 registered pesticides which list hemp on the pesticide
2 label. And this is industrial hemp. This is not what
3 we're talking about here. You can see the list of
4 products. They're all plant growth regulators or
5 synergists.

6 Again, there are no food tolerances or
7 exemptions from food tolerances for hemp. These
8 products currently cannot be used on hemp that is
9 being grown for consumption. So if it is, in fact,
10 food or raw agricultural commodity, then these
11 products cannot be used in the production as one of
12 the inputs.

13 So there are a variety of approaches to the
14 use of pesticides on hemp that states are now
15 grappling with. And as I said before, when you know
16 how one state works, you know how one state works.
17 Everybody is looking at it a little bit differently
18 and are trying to decide what works for that
19 particular state. So you're going to see the status
20 of programs and what programs include are going to
21 vary greatly at least, you know, at this time. There
22 are some regulatory agencies that have decided just to
23 default to the federally registered label. For those
24 that list hemp, those can be used and no other
25 products can be used legally.

1 There are other states that are considering a
2 variety of criterion that may be applied when
3 applicators are looking for pesticides in the control
4 of pests. Some of those may be that the active
5 ingredient is exempt from the requirements of a
6 tolerance on all food crops; that the label directions
7 for use are on an unspecified food crop. For example,
8 you know, bedding plants, that the pesticide is either
9 registered by EPA or exempt from registration under
10 Section 25B; that the pesticide is registered by the
11 state. Most states do require that pesticides be
12 registered federally unless otherwise exempt, but then
13 also registered within the state; and that the label
14 language is sufficiently broad enough to allow the use
15 on hemp and, of course, does not specifically prohibit
16 the use on hemp. And there may be other criterion.
17 These are just an example of some of the criterion
18 that states are used.

19 Some of these have come from states that
20 already have the legal use of marijuana, whether for
21 medicinal and/or recreational use, and they have
22 determined what will be allowed in those particular
23 states. So some of these criterion are being used for
24 marijuana in that production there.

25 And then some states also have decided they

1 will have a list of allowable products. They will
2 make a determination of these are allowable, much like
3 some of the states did with marijuana, and others have
4 decided they don't want to make a list of products;
5 rather, they may put out their criterion that says
6 this is what will be allowed currently.

7 You know, in general with pesticide
8 regulatory officials, I would say that we are looking
9 to EPA for registration actions and to see what comes
10 out of EPA. I think all -- you know, all states
11 obviously have concern for human health and the
12 environment. They want to make sure pesticides that
13 are used are legal for use and are appropriate for
14 use. There are many concerns on the part of
15 regulatory officials on unregulated, you know, illegal
16 and potentially unsafe use of pesticides to control
17 pests. That's always a concern.

18 But particularly with this new commodity
19 coming to the market and just a lack of information
20 that was mentioned previously, we know from previous
21 experience and other situations where there's a lack
22 of information involved. Options, people will default
23 to other sources like the internet, which does contain
24 a lot of information and some of it is accurate and
25 some of it is good. They'll also get, you know, that

1 magic formula from, hey, if you use this, there's a
2 lot of hearsay. And there are serious concerns
3 regarding that from a regulatory perspective.

4 I would say that pesticide regulatory
5 officials are right now training their own staff. You
6 know, this -- the move when I'm talking -- if we're
7 talking about marijuana started, you know, on the West
8 Coast and moved across, and so there's a lot of
9 education summaries about this. But this production
10 of agricultural hemp is new. So it's not only, you
11 know, training staff about hemp, how it is produced
12 and the actual production, and then also about
13 pesticide use, its limitations, and then the State
14 will have to determine how they're going to proceed.
15 And so training our own staff is really important.

16 Collaborating with pesticide safety
17 educators. Obviously, extensions are very strong
18 partners of pesticide regulatory programs, so also
19 coordinating and collaborating with extensions.
20 Oftentimes, they are the first stop for agricultural
21 producers. And so some of those questions about how
22 do you grow hemp, well, those -- you know, if the USDA
23 is sending them to state lead agencies, we're probably
24 sending them to Extension because they are the, you
25 know, experts and they're doing a lot of the research,

1 of course. And so we're going to move them back
2 there. But really having to work with our extension
3 educators so we have a consistent message about what
4 is allowed and what is not allowed from a pesticide
5 regulatory perspective.

6 And then really one of our big charges at
7 total programmatically pesticides is one piece of
8 this, is conducting outreach and education to growers.
9 We have found at least in Virginia and with a number
10 of states I've talked to, you have some very
11 experienced agricultural producers that are used to
12 production agriculture. They understand the laws and
13 requirements and pesticide use and who their contact
14 agencies are.

15 With this particular product, there's a lot
16 of individuals getting into the market that are new to
17 production agriculture. So they don't understand all
18 the different aspects and facets of that. So -- and
19 we found particularly with this product, this is the
20 first time that I think we have seen something where
21 you have a product that is so versatile. Ed put up
22 kind of the schematic of all the different uses of
23 hemp. And right now, it's really being looked at as a
24 high value, low acreage ratio. And so that is very
25 attractive to a lot of people. And while we certainly

1 aren't saying if you don't have any experience that
2 you're not going to be able to do it, but there
3 certainly are some additional challenges particularly
4 from pesticide regulatory officials and for state lead
5 agencies.

6 And with that, I will end. And we do have
7 -- just real quick on the AAPCO.org. website, we will,
8 as states start to progress, just talk more about
9 hemp. There's already on that website information
10 about cannabis and some of the states that have been
11 regulating cannabis or marijuana previously. And I
12 would say that as they move forward, there will be
13 more information from a regulatory perspective on the
14 AAPCO website. So, thank you.

15 MR. MESSINA: Thank you, Liza, for that.
16 That was great. So now we have Kentucky Department of
17 Agriculture on the phone.

18 MR. WILLIAMS: Yes. Can you hear me?

19 MR. MESSINA: Yes.

20 MR. WILLIAMS: Okay, great. I couldn't
21 remember if we had it muted or not. But, yes, thank
22 you. This is Michael Williams. I work in the Office
23 of Consumer Environmental Protection here at the
24 Department of Agriculture in Kentucky. And we
25 appreciate the opportunity to participate in this call

1 and welcome the chance to share some of our concerns,
2 questions or comments about hemp as it relates to the
3 EPA regulatory process.

4 Kentucky was one of the first states, as you
5 may well know, that developed a hemp research pilot
6 program after the 2014 Farm Bill. That year, we had a
7 little over 30 acres of research hemp that was
8 planted. Since then, under Commissioner Quarles'
9 leadership, KDA began a complete overhaul of our
10 program to better support participants, KDA hemp staff
11 and our state law enforcement folks.

12 This current season, in 2019, we have
13 approved 987 licensed hemp growers to cultivate more
14 than 56,000 acres of industrial hemp here in Kentucky.
15 As a comparison to last year, we approved about 12,000
16 acres and about half of that was actually planted for
17 various reasons.

18 Our comments this afternoon are focused on
19 seeking some clear guidance from EPA on its plans to
20 register pesticides for hemp. Right now, most hemp
21 producers are applying the tolerance exempt pesticide
22 products. But we know that as hemp production begins
23 to transition from the research phase to the
24 commercial side of things, scalability will be key.
25 With larger scale production, there will be a need for

1 producers to have the ability, through the use of
2 pesticides, to protect the crops from insects, disease
3 and weed pressure or weed pests.

4 We are interested to learn more about where
5 EPA stands in its process of approving products for
6 hemp. We recognize that things don't always move as
7 fast as we would like them to, and that also the EPA
8 needs those tolerance studies that have been
9 referenced in order to develop its full guidance.

10 However, we understand that EPA is working on
11 a position paper regarding the approval of special
12 local needs or our 24(c) process that we have the
13 capability of doing in the states. An update on EPA's
14 position here with that 24(c) process would be greatly
15 appreciated as we are starting to get more and more
16 requests from producers about how the Kentucky
17 Department of Agriculture and EPA can assist them as
18 they begin this larger scale production.

19 We also encourage EPA to fully explore, as
20 mentioned previously, the multiple applications of
21 hemp as you determine which products should be
22 approved. For example, hemp produced -- that's grown
23 for fiber is typically not consumed by humans as it
24 was a few decades ago. We understand that crops grown
25 for food use, like the oil or the seed, require

1 additional consideration as well as plants that are
2 produced for the extract, the CBD oil.

3 But we believe that there may be some ways to
4 expedite labeling some of these pesticide products for
5 fiber crops. We also encourage EPA to consider adding
6 hemp possibly to current pesticide labels that are
7 registered for food crops that are similar to hemp.
8 There was an example mentioned earlier about the mint,
9 hops and tobacco. Doing so will provide a great lift
10 to our producers as we get ready to expand growing
11 operations here in Kentucky.

12 Lastly, a word about education. There is an
13 energy in the hemp community here in Kentucky unlike
14 any other crop in recent years. And a large part of
15 that excitement is generated from our new and
16 beginning producers who may very well be unfamiliar
17 with EPA's registration of pesticide products to all
18 that process. We would emphasize that education
19 should be a key component of any administrative
20 decision on hemp, and education will help protect
21 producers, consumers and the environment.

22 Again, we appreciate the opportunity to
23 participate in this phone call, and we are happy to
24 provide any additional information about our
25 experiences with hemp in these last few years if there

1 is any interest in that information.

2 With 56,000 acres approved for production
3 this growing season, KDA and the people that we work
4 with and for are anxious to have some guidance from
5 our Federal partners about the road ahead for
6 pesticide products and registration for commercial
7 production. Thank you.

8 MR. MESSINA: All right. Thank you for those
9 comments. Next we have Dr. Bob Pierce.

10 DR. PIERCE: Yes, I'm here. Can you hear me?

11 MR. MESSINA: Yes. Thank you.

12 DR. PIERCE: Okay, good. Thank you for the
13 opportunity to speak today. I'm going to be speaking
14 from somewhat of a grower perspective as an advisor to
15 growers. And just to kind of start, to put some of the
16 interest and excitement that we see with this crop
17 into context, I think we have to recognize that
18 nationally the agricultural economy has been stagnant
19 in recent years with relatively low commodity prices
20 and rising input prices. And particularly here in
21 Kentucky, tobacco, which has been a long-time anchor
22 of our agricultural economy, has declined
23 significantly. And that has left a lot of growers, a
24 lot of farmers, searching for alternative enterprises.
25 So industrial hemp, with these multiple uses

1 ranging from fiber to grain to CBD, has really ignited
2 a firestorm of interest in the agricultural community.

3 As you heard the KDA speakers mention there,
4 Kentucky did have one of the first research pilot
5 programs, and that program has been very successful in
6 terms of it's grown every year. You heard the numbers
7 projected for 2019. And if these numbers hold true,
8 hemp acreage could potentially surpass tobacco acreage
9 in Kentucky for 2019.

10 Another reason that's driving this is that if
11 you look at the projected economics for hemp
12 production systems, they range from marginal
13 profitability for fiber production to some just wildly
14 speculative projected returns. I've heard of in the
15 tens of thousands of dollars for CBD. And so that's
16 driving some of these interests that we see.

17 Despite the interest and excitement, though,
18 I think our growers have to realize that while hemp
19 potentially has high rewards, it also comes with a
20 great deal of risk, both market risk and production
21 risk. The industry has developed and expanded so
22 quickly that best production practices are still
23 unknown, and growers have very limited tools right now
24 to help protect their investments.

25 Now, some of the proponents of hemp early on

1 have claimed that this is a crop that can practically
2 grow itself with little or no need for fertilizer or
3 pesticides. And this might be true if you're growing
4 a few plants in isolation, or if you see the feral
5 plants growing by the roadside. But scaling up to
6 commercial field production is going to require
7 growers to protect their crops from weeds, insects and
8 diseases in order to achieve the best economic
9 returns.

10 Since that 2014 Farm Bill allowed research on
11 hemp, scientists that in the various states have been
12 working with it have observed that hemp does indeed
13 have a number of diseases and insect pests that will -
14 - you will find on the plants. But currently we have
15 very limited information that's been published about
16 the impact that these pests may have on crop yields or
17 best management practices for the control of such
18 pests.

19 With multiple potential product streams for
20 hemp, current production practices vary widely. And
21 this leads to different pest problems, different
22 pesticide needs, worker exposure patterns and possible
23 consumer exposure patterns.

24 So it's clear that multiple tolerance levels
25 will be necessary to cover the range of products and

1 potential application practices with this crop. With
2 so much information that is going to have to be
3 gathered to support these pesticide labeling efforts,
4 I think it's going to be important for us to
5 prioritize specific pesticide needs so that the field
6 researchers can focus on collecting the necessary data
7 so that we can get the most useful pesticides into the
8 growers' hands as quickly and safely as possible.

9 I'm going to briefly outline some of the main
10 production systems we're currently seeing in the field
11 and give at least my thoughts on some of the
12 implications that has for pesticide needs for this
13 crop.

14 So producing hemp for fiber generally offers
15 growers the opportunity for modest returns according
16 to the projected enterprise budgets that we've seen.
17 Seeding rates for fiber are quite high, 50 to 60
18 pounds of seed per acre. And with seed prices for
19 this type of hemp ranging from \$2 to as much as \$8 a
20 pound, the cost of seed alone can range from \$100 to
21 nearly \$500 per acre.

22 Under favorable growing conditions, hemp can
23 germinate quickly. And at the high seeding rates
24 typical for fiber production, it's going to rapidly
25 close the canopy, shading out a lot of the potential

1 competition from weeds. But under less than ideal
2 conditions, if germination is delayed, the weeds can
3 get ahead of the hemp and result in a significant
4 competition leading to stand and/or yield loss.

5 The high plant population and the narrow rows
6 used in fiber production make mechanical cultivation
7 for weed control nearly impossible on a large scale.
8 Insect pest in fiber production, on the other hand,
9 are a relatively minor concern as long as the leaf
10 feeding is not so severe as to cause a 50 percent or
11 more defoliation. At the high densities, we can stand
12 to lose a fair amount of the foliage that's there
13 without really impacting yields.

14 But at the higher density, plant diseases
15 could be a significant problem. Overall, I think the
16 pesticide needs for a fiber only production system
17 would be relatively low. But there would be times
18 when growers would need pesticides to maintain a
19 profitable fiber crop on a large scale.

20 Because of the marginal returns per acre
21 projected for fiber crops, growers would be expected
22 to plant large acreages and properly labeled
23 pesticides would help with management on that scale.
24 Additionally, the fiber growing system is pretty well
25 suited to mechanization. So I would anticipate that

1 direct worker contact with treated crops would likely
2 be fairly minimal from a worker exposure standpoint.

3 Producing hemp for grain offers growers the
4 potential for slightly better returns per acre than
5 fiber hemp. Grain production systems often utilize
6 similar varieties to fiber production, but planted a
7 bit later in the spring to minimize the plant height
8 for easier grain harvest.

9 Seeding rates in this, the planting densities
10 are about half of what was used in fiber production
11 systems. So weed competition and thus the need for
12 effective herbicides would be expected to be greater
13 for grain hemp.

14 Insect feeding would also be more
15 troublesome. Research on other types of grain crops
16 has shown very clearly that grain yields are
17 correlated with leaf area. So reductions in leaf area
18 from insect feeding could result in reduced yields,
19 though this has not been documented in the literature
20 specifically for hemp as of yet.

21 Overall, the need for pesticides to maintain
22 economical production levels would be slightly higher
23 for grain as compared to fiber production. However,
24 like fiber, grain production would likely be
25 mechanized so worker contact with treated crops would

1 still be fairly minimal.

2 Systems for CBD production range from direct
3 seeded systems similar to the grain production model
4 to transplant-based models at very low plant
5 densities. Production cost estimates vary widely.
6 But some growers are paying up to \$1 per seed or as
7 much as \$4 to \$8 per plant for specialized varieties
8 that have reportedly been optimized for CBD
9 production.

10 As a result, the cost of establishment for a
11 CBD can reach into the thousands of dollars per acre.
12 The plants for the transplant-based models are
13 typically grown from cuttings or sometimes from seed
14 in a greenhouse. And we've already observed a number
15 of disease and insect issues in these enclosed growing
16 environments.

17 Currently our growers are using cultural
18 methods and a limited number of non-chemical home
19 remedies, we might say, to manage these problems with
20 somewhat mixed success. As growers continue to
21 utilize these same facilities over time, though, we
22 can expect to see pest problems build up and increase
23 in severity without having appropriate controls in
24 place to control these pests.

25 Without effective herbicides to help control

1 weeds at the much lower planting density typical of
2 the transplanted systems, growers will be forced to
3 rely on manual weed control throughout the season,
4 leading to higher labor costs. Disease pressure
5 should be somewhat less in lower population systems,
6 but insect pressure may be worse because you have
7 fewer plants and so you'll have more insects per plant
8 feeding on those fewer plants that are out there.

9 At low plant populations, there's a premium
10 on protecting each individual plant, especially if
11 you're paying \$4 to \$8 just for the plant to start
12 with. So overall pesticide needs for these systems
13 will likely be a bit higher than for grain or fiber
14 systems.

15 Additionally, many of the CBD production
16 systems rely heavily on manual labor for harvest and
17 post-harvest processing, thus the potential for worker
18 exposure to treated crops will likely need to be
19 considered when planning a pest control strategy.

20 Now, another potential issues that's recently
21 come to my attention through a grower question has to
22 do with labeling on -- pesticide labeling for other
23 crops that may precede hemp in a typical on-farm
24 rotation. So many pesticide labels, especially
25 herbicides, include statements that establish

1 rotational crop restrictions. Since hemp has only
2 recently been recognized as a crop, it has not been
3 tested for these rotational restrictions. And in a
4 lot of these cases, the labels, if a crop has not been
5 tested, it goes into the longest rotational category
6 for that product.

7 So there's one specific product that I was
8 asked to look at recently. It's commonly used in
9 soybean production and it would actually restrict the
10 planting of untested rotational crops for 40 months
11 following the application of that particular
12 herbicide. So that would mean that hemp might not be
13 able to -- might not be planted behind a number of
14 common agricultural crops due to the restrictive
15 nature of these rotational guidelines.

16 So this brings up some questions, I think,
17 about the intentions of the rotational restrictions on
18 the pesticide labels. You know, are those rotational
19 restrictions on the labels primarily because the
20 manufacturers are trying to minimize or want to
21 minimize the chance of subsequent crop injury, or are
22 the rotational restrictions there because of concerns
23 for residues that might appear into the rotational
24 crops?

25 If we take a very strict interpretation of

1 the labels in these case, it would mean hemp could not
2 be planted behind some of these crops. So I think we
3 need some clarification of those rotational
4 restrictions as growers begin to incorporate hemp into
5 their overall crop rotation.

6 So growers need effective, safe and reliable
7 pesticide options in order to make hemp a viable crop
8 that will contribute to a more diversified
9 agricultural economy. With the high cost of
10 establishment and the financial pressure for the
11 growers to succeed, they may be tempted to use
12 products off label if they believe it will help them
13 to save that crop and recover their investment in the
14 planting of that crop.

15 The lack of properly labeled options could
16 lead to use of excessive or potentially ineffective
17 rates or use at the wrong time. Appropriate label
18 guidance and education is necessary to provide growers
19 with the best management practices that will limit
20 environmental risks, minimize worker and consumer
21 exposure and protect grower returns.

22 Bio-based pesticides that were mentioned are
23 a good first target, but growers will need more
24 reliable options as well. Bio-based pesticides often
25 show promise in laboratory and enclosed environments,

1 but very often are inconsistent when put out in the
2 broader field environment at a larger scale.

3 The patchwork of state regulations or labels
4 for pesticide use on hemp will be confusing to growers
5 and that can also promote misuse. It's been my
6 experience over the years that growers have very
7 extensive networks, and if they hear that a product is
8 labeled or being used in one state for a particular
9 problem, they'll be much more likely to try that
10 particular product on their farm if they think it can
11 help.

12 So I think what we need or what is needed is
13 a comprehensive national plan that identifies pests
14 with the most potential to cause losses and pesticides
15 that can be used to manage those pests, and that EPA,
16 in consultation with industry, grower representatives,
17 should prioritize the most pressing needs and
18 establish a clear list of the data that's needed to
19 support that labeling so researchers can really focus
20 their efforts on those areas and those pesticides with
21 the greatest potential to improve the production
22 practices for hemp growers.

23 As this knowledge is developed, land grant
24 institutions and universities can assist with the
25 distribution of knowledge through cooperative

1 extension. Ultimately, the development of a good
2 program of agricultural practices that includes the
3 judicious use of pesticides in hemp production will
4 ensure the integrity, quality and safety of the
5 products produced.

6 This, of course, is going to require
7 considerable investment of resources and cooperation
8 among the nascent hemp industry, the crop production
9 industry, universities and state and federal agencies.

10 I thank you for the opportunity to present these
11 comments.

12 MR. MESSINA: Thank you, Dr. Pierce, for
13 those very thoughtful comments.

14 Next is Steve Bevan from GenCanna to
15 represent the commercial perspective on hemp and CBD
16 production. Steve?

17 MR. BEVAN: Thank you very much for having me
18 here today. As others have said, we're here today
19 because of the Hemp Farming Act of 2018 as it was
20 fully embedded in the Farm Bill. The simple
21 legislation had two clear goals: One, the removal of
22 hemp and hemp-derived products from the Controlled
23 Substances Act; Two, the establishment of a simple
24 regulatory regime under USDA to allow U.S. farmers to
25 grow hemp as any other crop.

1 We're here today to discuss the needs of hemp
2 farmers in achieving that second goal. As long -- as
3 long-time participants in Kentucky's industrial hemp
4 pilot program, we're heading into our sixth season
5 planting federally legal hemp outdoors. It hasn't
6 always been easy, but we are grateful for the
7 leadership that originates from Kentucky from former
8 Ag commissioner, now Congressman, Jamie Comer, to
9 long-time supporter of hemp, Senator Rand Paul, to the
10 nation's clear leader in hemp regulation, KDA's
11 mindful commissioner, Ryan Quarles, to the champion of
12 federally legal hemp, Senate Majority Leader
13 McConnell; not to mention all of the incredible
14 staffers who have been working tirelessly behind the
15 scenes to re-establish Kentucky as the nation's leader
16 in hemp production.

17 When GenCanna arrived in Kentucky in 2014, it
18 was unclear how KDA was going to receive us. The
19 fundamental problem was, and still is to some degree,
20 that hemp and hemp products don't fit into the
21 existing modern regulatory structure because they had
22 been forbidden. Indeed, it was unclear how law
23 enforcement would view hemp, but we simply worked our
24 way through it. We cooperated at every instance,
25 testing procedures, transportation issues, quality

1 issues, much of which has been discussed earlier;
2 expectations, fears. It didn't matter because folks
3 like Doris at KDA; Kaitlin from Leader McConnell's
4 office; Micah from Senator Paul's Lexington office;
5 they've all been steadfast in their support for hemp
6 farming and processing.

7 And others in other states, most notably
8 Colorado and recently Oregon, have come on board and
9 worked together. Support from law enforcement, local
10 officials, state regulators, legislators and
11 committees at all levels have been nothing but
12 emphatic and nonpartisan. Hemp is nonpartisan.
13 Everyone wants to help farmers farm. The nation wants
14 to see more hemp farmers cultivating hemp. They want
15 to assist American hemp farmers and they want to buy
16 quality products from American hemp farmers.

17 Recent data shows last year's retail sales in
18 hemp products at well over one billion dollars. This
19 year, those consumer sales are expected to more than
20 quadruple. The news coming out of CVS recently that
21 they're putting CBD products on shelves in 800 stores;
22 a beverage maker is adding hemp-derived CBD to drinks;
23 manufacturers of Oreo cookies and more, they indicate
24 a keen interest in hemp-derived products and point to
25 robust demand.

1 Internally, my company's sales and our
2 customers' demand indicate that this exponential
3 growth may actually be understated. So while the
4 growth of the industry might be understated, the
5 effect of this hemp crop on rural economies cannot be
6 overstated. We have hired well over 200 people
7 throughout rural Kentucky all downstream of farming.
8 We are presently building America's largest and most
9 modern hemp processing facility in Mayfield, Kentucky,
10 with phase one and two costs well over \$60 million;
11 with additional expected employment of over 100 folks.

12 Specifically, this is built to handle the
13 burgeoning acreage that our family farming partners
14 will put in the ground this year and next. So the
15 future seems bright.

16 And to some, hemp has an idyllic future.
17 There are romanticized notions of hemp and hemp-
18 derived products curing all ails from polluted grounds
19 to severe illnesses, and, of course, clothing for all.
20 But that's not real. Maybe in the future, but much
21 more research and experience is needed.

22 Perhaps the most important words in Hemp
23 Farming Act of 2018 is the simple description of hemp
24 as a crop, just like any other crop. Corn, beans,
25 oranges, coffee, hops or tobacco. This is what is

1 real. And this is why we are here today. Hemp is new
2 again to American farmers. It was difficult and not
3 well understood just several years ago, but the
4 improving quality of genetics, better agronomic
5 practices, better harvest automation and the simple
6 but valuable hands-on experience are all improving the
7 success rate of the new American hemp farmer, and
8 evolving as one might expect.

9 Kentucky's program expansion, as you've just
10 heard, demonstrates this clearly. 56,000 acres
11 approved this year. That is compared to 70,000 acres
12 in all of Canada last year. Canada has a hemp
13 cultivation history of over two decades.

14 So we -- we are very encouraged by some
15 recent conversations with AMS, with RMA at USDA. Both
16 agencies are taking leadership to help American
17 farmers. And FDA, while somewhat confusing, has
18 actually been regulating hemp-derived products
19 successfully for years.

20 There is a significant missing part to the
21 new American hemp cultivation, something every other
22 American crop enjoys, labeled chemistry to assist in
23 crop health. We understand no one wants more work.
24 No one wants to step outside normal processes. But to
25 ensure success and mitigate risk for farmers, we must

1 act.

2 So why do we need to do this for hemp? Well,
3 hemp isn't all easy. As we've learned growing in
4 Kentucky, there are things like leaf spot. There are
5 mites as we've heard about. They cause problems.
6 It's only a matter of time that -- before there will
7 be specialized pests that impact the hemp industry,
8 perhaps like tobacco worm, potato blight, western corn
9 root worm, banana disease, et cetera. These sorts of
10 things would be devastating to American hemp farmers,
11 not to mention the downstream rural jobs created out
12 of hemp production.

13 So farmers should be able to utilize tools
14 available to mitigate these hazards. Many of these
15 tools, including pesticides, herbicides and
16 fungicides, are already labeled for some mainstream
17 agriculture at safe levels. So what will it take to
18 include hemp?

19 America's new hemp farmers need to be certain
20 that they are productively growing safe and reliable
21 products to satisfy America's growing appetite for
22 hemp-derived products. The rural economies that are
23 experiencing a rejuvenation and proving the wisdom of
24 Congress in legalizing hemp in Kentucky and Colorado
25 and Oregon and across the country need access to the

1 full agricultural tool box.

2 How do we move this idea forward? We're
3 willing and able as an industry and as a company to
4 help the EPA and American hemp farmers resolve the
5 needs for safe hemp production by finding an iterative
6 plan to start allowing for some restricted use. We
7 need to encourage cooperation by regulators,
8 researchers, American hemp farmers and the established
9 industry to encourage the quick accessibility to food
10 safe, even organic, pesticides.

11 We should take into consideration that there
12 is an allowable use list of chemistry for all organic
13 production. Those listed should be allowed for use in
14 hemp production as well. We strongly encourage
15 sustainable and regenerative crop and land management
16 practices to prevent pest pressures, and, of course,
17 conserve resources. As this happens, we are learning
18 and collecting data to support the responsible use of
19 pest and pathogen prevention or control.

20 For the regulators, any organic pesticide,
21 herbicide or fungicide or biological preventative or
22 enhancer allowed -- I didn't write this as you can
23 tell -- allowed for use by the USDA or any other
24 registered state certification program, should be
25 considered for the use, prevention or management of

1 America's hemp crop and production. Perhaps this
2 includes some existing tolerance-exempt products.

3 But in the interest of time, and to mitigate
4 risk for farmers, we need to accelerate the plan to
5 research safe organic pesticides for quick labeling.
6 That includes access to food safe products that reduce
7 hemp crop risks to farmers, that ensures hemp plant
8 health for consumers, and that encourages confidence
9 from all stakeholders in this new crop.

10 Hemp was included in the Farm Bill for a
11 reason, to help farmers farm. It was a once-in-a-
12 generation, perhaps a lifetime, chance to reset
13 economic opportunities for farmers. Now is the time
14 to act. We are open for business and willing to be
15 part of working towards the solution for farmers, for
16 workers and consumers. Thank you for your time and
17 consideration.

18 MR. MESSINA: Thank you, Steve, for those
19 comments.

20 Last but not least, we have Dr. Tony Brannon
21 from Murray State University representing the academic
22 grower commercial perspective. Was he able to join or
23 no? Dr. Brannon, are you able to join?

24 (No response.)

25 MR. MESSINA: Okay. He should be on. We're

1 not hearing your conversation if your phone is on mute
2 or -- we didn't mute --

3 DR. BRANNON: Can you hear me now? Okay?
4 Can you hear me now?

5 MR. MESSINA: Yes, we can. Thank you.

6 DR. BRANNON: Okay. I'm sorry. I had
7 unmuted on this end, but I didn't realize I wasn't on.
8 So --

9 MR. MESSINA: Yeah. No, we --

10 DR. BRANNON: Greetings from --

11 MR. MESSINA: Apologies. We muted you from
12 our end. So you're good to go now.

13 DR. BRANNON: Okay. Thank you very much, and
14 greetings from West Kentucky; from Murray State
15 University. Murray State is a regional comprehensive
16 university on the far western end of Kentucky. And
17 we've been a leader in the hemp industry in Kentucky
18 since its inception. We've remained active in
19 research, education, policy and innovation, and
20 particularly in working with growers and farmers as
21 this new crop is implemented.

22 The 2018 Farm Bill, one of the benefits of
23 going last is a lot of things have already been
24 covered. So I'll try to cut out any redundancy. But
25 as has been mentioned, the 2018 Farm Bill with

1 leadership from senators and representatives from our
2 state reclassified hemp as an agricultural commodity,
3 which is what was needed.

4 Since that time, agricultural hemp, as I call
5 it, instead of using the word "industrial hemp"
6 because we don't call corn in our area -- we don't
7 call it ethanol corn or we don't call soy beans swine
8 feed soy beans. We simply will call this agricultural
9 hemp. It is at the center of most all the agriculture
10 conversation both on the farm and throughout higher
11 education and industry and economic development
12 circles in agriculture in our area.

13 The Kentucky Department of Agriculture
14 Commissioner Ryan Quarles has publicly stated that he
15 wants Kentucky to be a leader of hemp production in
16 the United States and, in fact, that we are on the
17 epicenter of hemp production. And if Kentucky is on
18 the epicenter, I can testify that Murray State
19 University is on the fault line in our region.

20 There are no less than 13 grower or
21 processing centers within 60 miles, that have sprung
22 up within 60 miles of Murray State University. And,
23 obviously, Kentucky has approved the planning of over
24 50,000 acres of hemp in 2019. And a good majority of
25 that will be located here in the western end of the

1 state. So it is all around us.

2 Murray State University was unique in that we
3 were the first to plant and grow agricultural hemp
4 under the 2014 pilot bill. Our seed came through and
5 we planted it on May the 14th, 2014, and we have been
6 working with it since that time.

7 In the five years, we've learned some things
8 but we haven't learned near as much as what is needed.
9 On March the 1st, the University Board of Regents
10 unanimously approved the establishment of a center for
11 agricultural hemp to be overseen by the Hutson School
12 of Agriculture here at Murray State. It will be
13 headquartered here at the main campus and work in
14 cooperation with industry demands such as with
15 GenCanna and my friend, Steve Bevan, throughout this
16 region and with our university farms located here in
17 Calloway and even as far away as Ballard County,
18 Kentucky.

19 The purpose of this center or the operation
20 of this center is to secure private support to fund
21 activities, research, development and programs for the
22 newly established center. Activities are expected to
23 be centered around the following initiatives: And
24 I'll start with agronomy, which is kind of what we're
25 talking about today. And in agronomy, we need

1 research, field trials, development and even
2 harvesting, which may not have been mentioned too much
3 today.

4 But I have the unique opportunity of having
5 grown up on a specialized dark tobacco farm here in
6 Western Kentucky. Our region has history with
7 specialized crops grown on small acreages at
8 relatively high value, and certainly hemp fits that.

9 I was born in 1959, and in the early 1960s,
10 as I was growing up, have pictures of me in the
11 tobacco patch and in, with another crop, I'm going to
12 make an analogy to, soy beans. In the early 1960s,
13 soy beans in our region were considered a forage crop.
14 We cut them -- we cut them for hay and fed them to
15 livestock. Certainly that was before chemicals and
16 that was before mechanical harvesting of self-
17 propelled combines.

18 Basically my dad used to refer to it as we
19 had the Santa Claus method of taking care of that
20 crop, and that is we went in the field and we went ho-
21 ho-ho. So I hope everybody can laugh at that.

22 But, anyway --

23 MR. MESSINA: They are all laughing, yeah.

24 DR. BRANNON: That's where we are with
25 hemp.

1 MR. MESSINA: Okay.

2 DR. BRANNON: That's where we are in hemp in
3 2019. It's the same place that soy beans was in 1960.
4 I don't know if there was any teleconferences in 1960
5 about how are we going to deal with this crop, but I
6 distinctly remember the first chemical that I remember
7 using on soy beans where we didn't use mechanical
8 cultivation was Treflan. And it was -- you either
9 used it or you didn't use anything.

10 Well, we know in 2019 what's happened with
11 the soy bean industry, how it's developed, how many
12 products there are to use on that acreage that allow
13 us to have a sustainable crop; to have a crop that's
14 grown and is grown efficiently and productively for
15 the farmers of our region.

16 So at this -- at this time with hemp, we have
17 no chemistry. We have no chemicals. We have no
18 harvesting. And certainly those are two of the big
19 hurdles that we're going to have to clear to make that
20 crop -- make hemp the sustainable crop that I know
21 that it can be.

22 We certainly need herbicides. We've had some
23 trials as has been mentioned at the University of
24 Kentucky and at Western Kentucky University. And I've
25 worked closely with the chemical partners that are on

1 our farm for soy beans and corn. And heretofore to
2 the 2018 Farm Bill, that's fallen on deaf ears because
3 there was just not the acreage. They certainly didn't
4 want to do anything with a crop that hadn't been
5 cleared legally and federally like it has been now.
6 So heretofore it's been hands off. But I think since
7 the 2018 Farm Bill we've seen a renewed interest on
8 that.

9 Another factor that's particularly important
10 to consider is that there's been no USDA funding of
11 any -- of any of these crops. It's all been privately
12 or corporately supported as we've moved forward, or
13 university supported internally. It's certainly our
14 hope that the USDA funding will contribute to this
15 industry much the same as they have the development
16 and expansion of the soy bean industry throughout the
17 1990s and the 2000s.

18 And it is also important, I think, to note
19 when we're talking about the agronomy is, it's been
20 mentioned there's several methods of production and of
21 end result for the crop. Fiber, seed and certainly
22 CBD. Obviously CBD gets the most of the play in our
23 area. It's important to note that of the 110 or so
24 processors in Kentucky, there are only two fiber
25 processing applications that have been approved that

1 are working. One of those that's in our area is in a
2 hemp wood plant that is to make hardwood flooring and
3 siding and other wood products out of hemp. And
4 that's certainly been a lot of interest in that. But
5 the majority of the interest has been in the CBD area.

6 As the 2018 Farm Bill took the blinders off
7 of this industry, we certainly need to move forward in
8 other areas. Other areas that we'll be looking at is
9 CBD both in the processing and the research, and I'll
10 go to an area that we think about it being as
11 supplements, but I don't think it's been mentioned too
12 much about the potential that we have here for animal
13 feeds. Certainly we have some rudimentary trials that
14 we work with on poultry that was allowed under the
15 2014 Farm Bill for our university. That looks very,
16 very promising as we sit here in the middle of the
17 poultry industry, which is our state's number one
18 industry in agriculture in Kentucky. So there's some
19 promising trials that are there.

20 There's some manufacturing product
21 development and support that is needed. Certainly
22 some education. We work with 1,100 ag students. And
23 to tell you that hemp has caught their attention would
24 be an understatement. We now have three interns
25 already employed with an area company and I get job

1 inquiries every day. And certainly working with our
2 foundational partners, we're going to continue to do
3 that.

4 Farmer-grower leadership programs. You know,
5 sharing of information is different in 2019 than it
6 was in 1960. And certainly we have very capable
7 farmers. Given the right tools, the right chemistry,
8 the right harvesting, the right economics, farmers
9 will be overproducing this crop in a matter of years.
10 And so we look forward to working with those farmer-
11 grower leadership programs, and certainly, as I
12 mentioned, internship programs.

13 On behalf of our region and particularly the
14 foundational partners that we have, including GenCanna
15 that's testified today, CB Sciences is one of our
16 foundational partners and actually provided the first
17 seeds that we grew with, a national leader. Vertical
18 Hemp and Unified Ag Holdings here in Calloway County,
19 on behalf of those corporations and industries and on
20 behalf of our region, the hemp industry, all of our
21 students, our university community, this is not just
22 an agricultural development opportunity but it is a
23 rural development opportunity for a much needed boost
24 to our regional economy, and certainly is as much
25 economic development as it is agriculture.

1 Thank you for your consideration of
2 progressing and moving this industry forward. Thank
3 you.

4 MR. MESSINA: Thank you, Dr. Brannon, and
5 thank you for doing a phenomenal job of batting last.

6 So with that, can we put the maybe questions
7 up there? Before I kick it over to Rick to --

8 (Phone interruption.)

9 MR. MESSINA: -- just from my perspective, I
10 agree with the comments of triaging and really
11 understanding what are the grower needs out there
12 working with registrants and what are those particular
13 active ingredients that the growers are really
14 interested in sort of doing those first and then
15 working through what studies and the risk assessments
16 associated with that.

17 And to that end, offering up the ability as
18 once we had these conversations for presubmissions,
19 presubmission conversations with the Agency to make
20 sure that any applications that we do receive have the
21 best likelihood of success. So I would just throw
22 that out there for registrants that are interested in
23 having conversations with us as you're talking with
24 growers and researchers. And the ag extension folks
25 were happy to participate in those conversations.

1 And on the 24(c) issue, I think in terms of
2 answering that question, I think it's got the same
3 issues with regard to what are the tolerances
4 associated. So I think the states would have to come
5 forward and show the tolerance exemption issues
6 associated with that.

7 I think the biopesticides piece is real
8 interesting, and maybe as some early quick wins we
9 look to those products that are tolerance exempt. And
10 so as a result for purposes of use in food testing, we
11 know that those products that have mode of actions
12 that are safe, the 25Bs are, you know, good options
13 that we sort of explore first.

14 But the more intense conversation is going to
15 be around the chemicals where we need to establish
16 tolerances and how do we -- what testing do we require
17 and all the various uses that are out there. So,
18 again, really getting input from you guys on your
19 perspective in that regard sort of as a step two as we
20 move towards providing registrations when we receive
21 them from registrants.

22 With that, I'll see if there's any questions
23 and turn it over to Rick to field questions. And
24 we're good on time. We saved -- we saved lots of time
25 for questions. We've got another 40 minutes.

1 MR. KEIGWIN: Okay. So the first cards I see
2 up are Nina and then Andy.

3 MS. WILSON: Thank you. That was an
4 interesting session. I think everybody is very
5 interested in what's going on with hemp. The
6 biological products industry, as you noted, is very
7 interested and would consider hemp to be like any
8 other crop that would be granted under an exemption
9 from tolerance. However, the industry would like on a
10 case-by-case basis, to make their own decisions about
11 whether they explicitly put hemp on the label or not
12 because obviously there are some maybe physiological
13 or company reasons why they would want to do that. So
14 they would put that on the label or put it on their
15 marketing items.

16 The second question -- I actually have a
17 question now. I'm not sure I understand, Liza, your
18 presentation where you talked about pesticides with
19 referenced use on hemp or industrial hemp. So they're
20 not food. So this implies that there are current
21 registrations for non-food items for hemp?

22 MS. TROSSBACH: There are -- based on the
23 research that I did for Virginia using the National
24 Pesticide Information, there are currently six
25 federally registered products that list hemp. But

1 those products don't have a food tolerance or nor are
2 they exempt from a food tolerance. So assuming that
3 hemp is food and we're looking at it that way, they
4 could not legally be used on a crop that was grown --
5 or hemp that was grown for consumption.

6 MS. WILSON: But, theoretically, even if it's
7 for a non-food item, a pesticide use would still be
8 considered, the labeled use at EPA would have to look
9 at register and consider risk assessment. Am I -- I
10 think I'm missing something.

11 MR. KEIGWIN: So I think -- so Liza -- I've
12 done similar research to Liza and came up with similar
13 results. Because the products that are currently
14 registered on industrial hemp don't have a tolerance,
15 if hemp is considered to be food that would have to be
16 a discussion between EPA and the Food & Drug
17 Administration since they are the enforcers of
18 tolerances and tolerance exemptions, whether or not if
19 residues were found in products of hemp that were
20 deemed to be food; whether or not those products would
21 be considered to be adulterated.

22 We haven't had that conversation. You know,
23 presumably -- and I think the labels actually say
24 industrial hemp. That was -- and so I think what was
25 envisioned at the time of those registrations, it was

1 more for the fiber use.

2 MS. WILSON: But I can't put something on my
3 label now if it's a non-food use, whether it's
4 registered or not.

5 MR. KEIGWIN: Well, I'm not sure I understand
6 your question. These are companies that applied to
7 have hemp listed on their label.

8 MS. WILSON: Okay.

9

10 MR. KEIGWIN: In the past.

11 MS. WILSON: In the past, okay. But --

12 MR. KEIGWIN: As Ed noted earlier on, since
13 the enactment of the 2018 Farm Bill, we have not
14 received any registration applications.

15 MS. WILSON: Right. But prior to this, it
16 wasn't a federally recognized crop. Correct?

17 MR. KEIGWIN: Well, there were conditions
18 under which hemp could be grown under the enacted 2014
19 Farm Bill.

20 MS. WILSON: 2018, but not before 2018.

21 MR. KEIGWIN: The 2014 Farm Bill also had
22 provisions.

23 MS. WILSON: Okay. So these are between 2014
24 and 2018 is what you're saying.

25 MR. KEIGWIN: I can't speak to when they were

1 added.

2 MS. WILSON: Okay. And I -- I don't see any
3 difference regarding to the RACs and the processed
4 commodities and identifying those. I mean, what
5 you're doing is talking to the industry and trying to
6 figure out what goes where. And I don't see that that
7 would be any different from any other, you know,
8 guidance document that we have now on residue testing.

9 MR. KEIGWIN: I think the question is what
10 residue testing would we need and how and, as we do
11 with other crops, how many field trials and what
12 regions, what processed commodities would we want to
13 need to look at. Is there concentration when applying
14 it to the plant in the oil? Those types of
15 considerations I think we're going to need to explore
16 as this crop becomes more further introduced into the
17 agricultural economy.

18 MS. WILSON: So you would -- so I ask this
19 question from the industry. So you would say that
20 potentially depending on what comes out of that, which
21 I assume is the same process where you would talk to
22 industry to figure out how things are grown, what are
23 they used for, what parts go where, what parts you
24 test, how you test for it, you know, acreage would
25 inform the number of trials and regional trials,

1 whatever. Could you -- could you call -- would you
2 foresee that you would be able to label or you would
3 label for hemp for a specific use, or would you want
4 to see hemp -- industrial hemp be covered for multiple
5 uses?

6 MR. KEIGWIN: These are one of many questions
7 that we are all going to have to explore I think
8 initially between FDA, USDA and EPA as it relates to
9 the use of pesticides in growing this crop. And part
10 of what we want to accomplish today are what are the
11 questions that we all need to be considering as we
12 work together to develop guidance for the industry.
13 So thank you for that.

14 Andy, then Sharon, then Dan.

15 MR. WHITTINGTON: Just because I met with Amy
16 Monday and this is still fresh on my mind. But I
17 think this is an excellent opportunity for us to be
18 proactive in practicing resistance management. And if
19 we're going to approve products for the class, I think
20 we could be very proactive in approving multiple modes
21 of action for the same test and employing a rotational
22 schedule of those chemistries to prevent resistance in
23 the -- in the plant or the insects.

24 MR. KEIGWIN: All right. Thanks, Andy.
25 Sharon, then Dan, then Charlotte.

1 MS. SELVAGGIO: Okay. Thank you. That was
2 such an interesting set of presentations; really
3 appreciate it. I have a few questions and I have a
4 few kind of thoughts. But, one, when a product is
5 ultimately processed into a medicine, is that exempt
6 from the tolerance requirements? Is it just when a
7 residue might be present in a food that it's subject
8 to the EPA?

9 MR. KEIGWIN: EPA sets tolerances on the raw
10 agricultural commodity as it relates to food
11 consumption.

12 MS. SELVAGGIO: Okay. So the medicinal uses
13 of hemp would not then be subject to federal
14 regulation as far as the tolerance questions.

15 MR. KEIGWIN: That's I think one of the
16 questions we'll be having with FDA is, does FDA set a
17 tolerance or does EPA set the tolerance?

18 MS. SELVAGGIO: So you do anticipate that a
19 tolerance would be --

20 MR. KEIGWIN: I think that's one of the
21 questions. You know, both the EPA and FDA operate
22 under the same statute as it relates to setting of
23 tolerances.

24 MS. SELVAGGIO: Okay.

25 MR. KEIGWIN: So FDA sets them for food

1 additives and for other purposes, and we set them for
2 the food.

3 MS. SELVAGGIO: Okay, okay.

4 MR. KEIGWIN: So I think as we work through
5 this together, that's -- we're compiling the list of
6 questions
7 for EPA, and I think that's an important one.

8 MS. SELVAGGIO: Okay. And just looking at
9 this list, I mean, I don't -- you know, I don't know.
10 Is this, like, an extremely diverse list of products
11 for any particular agricultural commodity? It seems
12 to me like to your question about exposures, if there
13 are this many different products -- and I'm kind of
14 even confused about this, but I know that, you know,
15 we probably import a lot of hemp products right now
16 from other countries. But, you know, it seems like
17 the range of exposures that a person could be
18 subjected to might be, you know, quite high thinking
19 about the many different ways in which they might come
20 into contact.

21 And so just to that question, it seems like,
22 wow, yeah, the whole exposure analysis seems like it
23 will be really, really important to get that right.
24 And so I guess one thing -- I mean, I think it's like
25 -- this is really interesting from the standpoint just

1 hearing about the stats that we heard from Kentucky
2 and sort of the opportunities that a lot of land
3 owners and growers have to substitute a declining crop
4 for a crop that actually has, you know, potential for
5 real high market value.

6 And I look at it also from a different
7 perspective, which is, wow, we've got an opportunity
8 to transform some agricultural systems and watersheds
9 perhaps, and maybe this is a great opportunity to
10 really think broadly about beyond individual grower
11 economics, but also be thinking about the kind of
12 watershed conditions that we want to have; the kind of
13 landscape conditions that we want to have; and making
14 sure that we -- if we have an opportunity to do so,
15 you know, to reduce the total amount of pesticides
16 that is used across the landscape.

17 And so I'm curious because there really
18 wasn't much said about it. But what is the current
19 state of the IMP research on hemp? I mean, it sounds
20 like there's been research going on for at least a few
21 years, but we didn't hear a whole lot. And I would be
22 sad if there was sort of a gold rush into, you know,
23 let's approve all these pesticide registrations for
24 hemp without simultaneously putting just as much
25 effort into the IPM methods to manage these pests that

1 might occur, but, you know, without pesticides.

2 And I know that's not necessarily EPA's
3 purview, but I do bring it up because when we were
4 talking about the public health stuff, you know, you
5 talked about how it's part of EPA's mission to also
6 get IPM information out there. So I just think that's
7 kind of important.

8 I guess my last question about this with the
9 risk assessments that you do, when you are looking at
10 changing labels to expand, you know, labeled uses,
11 it's going to change perhaps our understanding of
12 pesticide use across the landscape. We might see some
13 pretty big differences. And we've got things like
14 endangered species assessments that are, you know,
15 under way, in process. You know, how is that going to
16 respond to these changing -- these dynamically
17 changing landscape scenarios?

18 So, I mean, just something to keep in mind, I
19 think, that we'll have to -- you know, EPA will have
20 to grapple with.

21 MR. KEIGWIN: Okay. Thanks, Sharon. Dan,
22 then Charlotte.

23 MR. KUNKEL: Thanks, Rick. And maybe just
24 adding to the enthusiasm around this commodity, the
25 IR-4 program, we generate data to register products

1 for specialty crops, minor crops, and that includes
2 the biological products as well as the conventional
3 products.

4 But -- so we've seen a lot of enthusiasm
5 around hemp. We're getting a lot of requests. We're
6 getting requests on how to use biological products.
7 What are the data requirements for conventional
8 products? So we're very interested in the questions
9 that Ed poses up there. We have some ideas.
10 Surrogate crops, very similar to some of the
11 commodities that Ed mentioned as well.

12 But we get the same feeling that the growers
13 are getting desperate on tools to add to their
14 toolbox. So we'd like to participate in the
15 conversation. Thanks.

16 MR. KEIGWIN: Charlotte and then Pat.

17 MS. LIANG: Okay. Thanks. So now unless you
18 can correct me if I misunderstood. There's a lot of
19 good information here. So I assume that field
20 research on registration of crop protection products
21 for use on hemp would require growers to be registered
22 or licensed under state programs or USDA programs, and
23 will EPA have -- like, what kind of role do you see
24 EPA having in verifying that -- you know, that
25 research is conducted on legally-grown hemp?

1 MR. KEIGWIN: Do you want to --

2 MS. BENNETT: Could you rephrase your
3 question again? I'm not quite sure I understand what
4 you're asking.

5 MS. LIANG: Yeah. With -- EPA would have a
6 role, you know, in verifying that research is
7 conducted on legally-grown hemp? Maybe I misheard
8 what was said earlier, but --

9 UNIDENTIFIED MALE: What was the comment that
10 you --

11 MS. LIANG: Now I can't remember this
12 (inaudible). But, you know, I was just making sure
13 that, you know, the whole process is done legally.
14 Right?

15 MS. BENNETT: Okay. So, again, I'll say
16 again, so for me it's also talking about jurisdiction.
17 So the statute tells AMS in order for somebody to grow
18 hemp, they need to provide information on the land
19 they're growing; they need to be licensed in some form
20 or fashion. But honestly licensing, according to the
21 statute, really says you're not a felon, you've done a
22 criminal history check, you've given us your name and
23 your address and that sort of stuff.

24 There really isn't anything in this statute
25 that says -- and you're doing it appropriately, right?

1 I mean, for us, the line of appropriateness is really
2 at the end of the -- towards the end of the harvest
3 when the crop is tested and it doesn't exceed THC.
4 And that is really the extent of AMS's jurisdiction.

5 So anything about using pesticides
6 appropriately, again, would either fall to EPA or
7 perhaps whatever the states are regulating relative to
8 compliance and making sure that their growers are
9 following the appropriate regulations.

10 MS. LIANG: Okay. Yeah, thanks. I was
11 really thinking from the compliance perspective.

12 MS. BENNETT: Right. So for compliance, for
13 AMS again, jurisdiction is all about the THC. So that
14 really is the extent of what we're verifying. And the
15 fact that they're appropriately licensed, right? So
16 you're licensed and you're growing a crop that is
17 legally defined as hemp and nothing more.

18 MR. KEIGWIN: Okay. Pat?

19 PAT: Yeah. I mean, just a follow up, I
20 think, a little bit more on what Sharon was saying. I
21 mean, the uses for this thing seems to be, you know,
22 quite extensive. I mean, clothing, building
23 materials, food, salad oil, you know, shampoo. It's
24 -- so I guess I'm curious as to how EPA would -- first
25 of all, if a grower is growing it, how do you know

1 what they're growing it for? Are they growing it just
2 for fiber or are they actually going to use some of it
3 towards, you know, food products or personal care
4 products. And would it be -- would the pesticide have
5 to be, you know, applied in different ways depending
6 on what they're growing it for and the tolerances, you
7 know, would be different.

8 And, I mean, I think there are probably some
9 crops like corn and soy beans that have, you know,
10 numerous uses that may be a model, I don't know quite
11 how you'd do that now. But have you given any thought
12 to, like, how that would -- that process would occur
13 as to how you would actually, you know, decide how
14 much pesticide can be used and how the product is
15 actually -- the end product that comes out of it, you
16 know, would depend on that.

17 MS. BENNETT: So I'll just start and just say
18 right now hemp is hemp to AMS. So we don't have any
19 say in, oh, you're growing it for fiber; you're
20 growing it for consumption or whatever, or CBD oils.
21 That -- that's it. And so, again, if it doesn't have
22 -- as long as it doesn't exceed the THC. And whatever
23 it becomes afterwards, then unfortunately, I'm sorry,
24 it's somebody else's problem.

25 MR. MESSINA: Thank you. Yeah, I mean,

1 the slide I put up there was meant to be provocative.
2 Right? I mean, it's sort of -- in reading up on this
3 and all the various uses. And, again, there's more.
4 It's going to be a challenge and it's going to be a
5 heavy lift. But I think that's exactly where and, you
6 know, the questions are good ones where we need to
7 have some presubmission conversations with registrants
8 who are willing. Hopefully, I didn't imply otherwise.
9 And the growers for where these end uses are going.
10 Because it couldn't be that we're going to limit, you
11 know, what the particular pesticide for that
12 particular use -- that seems unworkable. But --

13 MR. KEIGWIN: Yeah. I mean, Pat, I
14 think your point is a good one. You know, and there
15 are other crops that, you know, their derivative
16 products go to multiple places. So that may be one
17 model. There may be some ways in which hemp is being
18 grown or hemp is being processed into products that we
19 haven't typically looked at it from an exposure
20 scenario. So those are some of the other things I
21 think we have to think about.

22 So, you know, like with the diagram that Ed
23 projected, you know, those are just some of the end
24 use products. And so how -- what are the exposure
25 pathways that exist as a result of treating the plant

1 for pest control reasons, and then does it concentrate
2 in the oil? What circumstances does it? Is it just
3 the oil? Is it other parts of the plant that are
4 being consumed or where there's potential for
5 exposure?

6 So as -- as we're all kind of learning about
7 this, those are all the types of considerations. And,
8 you know, Dan's work at IR-4 and some of the crops
9 that they have a lot of experience with doing field
10 trials might serve as surrogates in the short-term for
11 ways of figuring out where we go from getting some
12 initial exposure information.

13 Donnie, and then Damon.

14 MR. TAYLOR: So, Steve, this question is for
15 you and any of the university people that want to
16 speak in as well. I'm interested from your 10-year
17 modeling aspect how many acres do you anticipate
18 needing hemp based upon the growth curve that you're
19 anticipating? Are we talking about a million-acre
20 crop or are we talking about a 72-million acre crop?

21 MR. BEVAN: That's above my pay grade.
22 Really from our perspective as an individual company
23 and even as an industry, we're all evolving really
24 quickly here. We're trying to figure things out. We
25 want to be helpful and open. And I don't know that

1 there is an answer. I do know that there will be
2 probably several hundred thousand acres grown this
3 year across the U.S., and that will be an awful lot of
4 hemp for the system and potential use right now.

5 MR. TAYLOR: Steve, for the value, is it sort
6 of two to five billion range, is that sort of what
7 you're seeing with sort of the projected market?

8 MR. BEVAN: We've seen a \$6 billion figure
9 that one group has put out, and that might seem a
10 little high. But from our internal numbers, that
11 could be pretty reasonable.

12 MR. TAYLOR: So how many acres do you need to
13 keep -- to supply a production facility?

14 MR. BEVAN: That depends on how you build it
15 and how you scale it. We're building one that's new
16 and state of the art, but we expect state of the art
17 to change before next year. So I don't mean to be
18 evasive, but I don't know that there's a really great
19 answer to this because we're trying to model what
20 we're doing on some corn drying facilities and what
21 have you. I'll know in November.

22 MR. TAYLOR: Okay. Well, you're in a
23 government building, so evasive is kind of the name of
24 the game. So another question is based upon the
25 improvement you've seen in genetics just in the short

1 period of time, do you anticipate genetic improvement
2 increasing the acres or decreasing the acres? Is
3 there a threshold there that we need to keep in mind
4 as we think about registering products?

5 MR. BEVAN: I think that -- I think that hemp
6 will evolve around the country to meet local and
7 regional needs like other crops, other commodity
8 crops. I think the evolution of the use downstream
9 for that will be initially localized. And I really
10 don't know about the demand pull-through numbers that
11 are going to answer your question. I think when the
12 FDA clarifies where they're at, whether that's six
13 months or two years from now, that will help a lot of
14 the mainstream consumer products retailers decide
15 whether they want to be in the business and put a bid
16 into the -- into it. And that will change everything.

17 MR. TAYLOR: So from a registration process,
18 our partnership with Canada, is it being useful in
19 this particular question as well? Because I kind of
20 think about canola when I think about this crop. It's
21 very tough to get a canola registration based upon the
22 financial aspects and the use of oil and the food
23 aspects of it. So that kind of comes to mind for me.

24 MR. MESSINA: Yeah, great question. And I'll
25 say we have reached out to our Canadian brethren for

1 conversations around this topic because they have
2 experience a little more than, you know, in terms of
3 timing than we do. And they were -- they were
4 helpful. But also they are still on sort of the
5 cutting edge of this as well as we are. So I don't
6 want to say, you know --

7 MR. TAYLOR: Okay.

8 MR. BEVAN: Say what?

9 UNIDENTIFIED MALE: (Inaudible).

10 MR. BEVAN: Yeah. I think currently they're
11 in the biopesticide field for registrations right now,
12 yeah. But they did put out, I think, some guidance on
13 how they were going to do their risk assessments which
14 I think was another step and helpful starting point.

15 MR. KEIGWIN: Okay. Damon and then Liza

16 MR. REABE: So with the four questions, it
17 becomes difficult to answer because, of course, this
18 just became a legal crop five months ago. Right? So
19 I just suggest that the EPA work closely. Clearly,
20 there's universities in Kentucky with staff and
21 experience that's done almost all the research in the
22 United States from what I can gather. And I would
23 think that those would be the experts that you -- you
24 maybe have already reached out to them and this is
25 working -- a work in progress. But in order to begin

1 the process of registering pesticides to be applied to
2 hemp, those are the experts that you're going to have
3 to go to in order to begin the risk assessment process
4 -- or for the registrants then to decide if they're
5 going to bother with the risk assessment process.

6 It doesn't seem like from a -- from an
7 applicator's perspective or a user of pesticides the
8 concept that how the hemp is being used does seem very
9 surmountable. So I'll make a fungicide application to
10 corn and it will have a different preharvest interval
11 if it's being raised for grain or for forage. Right?

12 So it's very common for labels to have the
13 same exact plant species be used for different things.
14 And when I look at these uses, it's likely that many
15 of these uses, much like, for instance, corn, we don't
16 have a pesticide residue tolerance on a corn plant for
17 when it's used to produce ethanol.

18 So this -- this is an intimidating looking
19 chart, but probably not a mountain of products.
20 Certainly more so than a lot of other plants, but I
21 would imagine this to be a -- able to be considered in
22 the existing process.

23 MR. KEIGWIN: Yeah. Are folks on the phone
24 unmuted so that if we did want to hear from them, they
25 can chime in? Did -- go ahead.

1 UNIDENTIFIED MALE: Andrew or Richard or
2 Elisa, but I want to make sure that Liza gets in
3 there.

4 MR. KEIGWIN: Yes. But did --

5 MR. THOSTENSON: This is -- this is Andrew
6 Thostenson of North Dakota State in Fargo. I can tell
7 you that NDFU has been doing field-scale trials on
8 hemp now since 2014. So we have a fair amount of
9 assessment work that's going in on the agronomy ad
10 those sorts of things.

11 As far as any kind of pesticide development
12 work, of course, you know, the IR-4 program at USDA is
13 probably, you know, the best route to obtain some of
14 this residue data so that tolerances can be
15 established. That's going to take a couple of years
16 to accomplish. So whatever pesticides are made
17 available at least, you know, the more conventional
18 pesticides like glyphosate or any number of herbicides
19 or fungicides out there, it's going to take a couple
20 years to generate that data.

21 And I think that earlier on there was a
22 comment about (inaudible). And canola sort of is our
23 -- a crop that we can look at and say that in the
24 early 1990s, there was next to nothing in terms of
25 pesticides available on that crop. And it took about

1 five or seven years of production and experimenting
2 and failure and generating the residues to start
3 getting a really -- a good number of legally used
4 pesticides registered for that crop.

5 Perhaps we can do that a little bit faster
6 with the hemp situation than we did with canola
7 because we've kind of been through it. But I still
8 see that before we get widespread adoption of
9 pesticides on hemp, it's probably going to take five
10 to ten years to really get the information generated
11 to be able to issue the pesticide labels on a wide
12 scale. That's the reality of our -- of
13 our --

14 UNIDENTIFIED MALE: How much was that data?

15 MR. THOSTENSON: Pardon?

16 UNIDENTIFIED MALE: 1300? Yes.

17 MR. MESSINA: Okay. We can hear you

18 . Keep talking. There's a little
19 background noise. But when we unmute the lines, we
20 unmute everyone on the line. So --

21 MR. THOSTENSON: Okay. Well, so that's about
22 all I have to add. It's going to take quite some time
23 to make this (inaudible). But at least we do have
24 some experiences with canola in the United States, so
25 that should be helpful.

1 MR. KEIGWIN: Maybe we should mute the
2 line.

3 MS. TROSSBACH: There are -- under the 2014
4 enacted Farm Bill, the research for industrial hemp
5 was allowed. So there are many land grant
6 universities, institutions that are doing research
7 currently. So it's not just Kentucky. Of course,
8 it's North Dakota, Virginia. There are a large
9 number. So there's a lot of that research that's
10 already been done, granted, on industrial hemp.

11 But I think that that can inform some of
12 these questions and decisions about what type of
13 research has been done. It can be parlayed or the
14 data can be probably bridged, you know, in some of
15 those areas. And so I would really think that the
16 best place to start, while you certainly want to
17 engage industry in the discussions and regulators, et
18 cetera, I think you really have to start back with the
19 research that has gone on to see, you know, what's
20 there.

21 And, in addition, these land grant
22 universities have done many different types of crops
23 and there may be something very similar. And I think
24 the idea that you look at the food use, assuming that
25 happens there, and the non-food use and can kind of do

1 that. So I would certainly encourage EPA, and I think
2 it's probably easy to kind of find out which
3 universities have done research and for them to share
4 that university. But I think academia is probably the
5 best place to start.

6 I'd also offer that there are a handful of
7 products currently registered that list hemp. And so
8 there must have been a risk assessment process for
9 that or some type of work done at some point that may
10 have some base data already there. How that was done,
11 you know, how that was looked at. And so there may
12 also be some stuff that can be used now and can be
13 built upon as opposed to just starting over.

14 MR. GRAGG: This is Richard Gragg.

15 MR. KEIGWIN: Yeah, Richard. Go ahead.

16 MR. GRAGG: Thanks. I do have a couple of
17 questions. So I'm hearing industrial hemp. Does that
18 include medical marijuana?

19 MR. MESSINA: Well, it -- yeah. So this is Ed.
20 And having sort of looked at this issue, I think the
21 terms have been used interchangeably in a lot of ways.
22 Right? So there's cannabis, the term "cannabis." You
23 know, there's Sativa. There's Indica. There's
24 different forms of cannabis.
25 There's hemp. There's industrial hemp, agricultural

1 hemp now.

2 I would say it's unclear. We know what the
3 definition of hemp is under the Farm Bill, and that's
4 pretty clear.

5 MR. GRAGG: Right.

6 MR. MESSINA: But folks tend to use some of
7 these terms interchangeably in speaking about them.
8 So I would say there's no clear answer. But --

9 MR. GRAGG: Okay.

10 MR. MESSINA: -- the definition under the Farm
11 Bill includes all the derivatives from the hemp plant.
12 So presumably --

13 MR. GRAGG: Right. That's what I'm seeing.
14 So --

15 MS. BENNETT: I'm going to interject for just
16 a second. This Patty Bennett with AMS. I think for
17 us looking at hemp is that we do make a distinction.
18 And so hemp is distinguished from marijuana because of
19 the level of THC.

20 MR. GRAGG: Yes.

21 MS. BENNETT: So I wouldn't say hemp and
22 marijuana are -- medical marijuana are the same thing.
23 To me, it's all about the THC level, which is, you
24 know, where we are regulating. That being said, I
25 mean, I think we're also very cognizant that what this

1 agricultural crop looks like today may not be how we
2 look at it tomorrow or over the next years. But --
3 and certainly I'm sure there's an evolutionary process
4 that is going to continue to come over the next few
5 years. But right now there is a line in the sand for
6 us and AMS. It's .3 percent THC on a dry matter basis
7 relative to the crop. And outside of that, I have no
8 opinion.

9 MR. MESSINA: Yeah. So, sorry --

10 MR. GRAGG: Right. I got -- I got --

11 MR. MESSINA: I'm sorry if that was confusing
12 on that point. But, yeah, so clearly the difference
13 between cannabis and hemp is clear with the THC
14 content. I thought you were referring to the fact
15 that (inaudible) that are going to have medicinal
16 purposes. And so --

17 MR. GRAGG: Exactly. I was more -- I may
18 have caused the confusion.

19 MR. MESSINA: Well, no. Again, I think --

20 MR. GRAGG: There are medicinal -- there are
21 medicinal -- there are medicinal hemp products. Okay?
22 So -- and so my question -- my first question is, so
23 none of these current products, however they're being
24 used, in the pesticide applications there are no -- at
25 the federal level, are you saying there's no rules and

1 regulations and that EPA, in conjunction with the FDA,
2 is getting in place to address all of that?

3 MR. MESSINA: So as my slide indicates, you
4 know, but for a handful of registrations, five or six
5 depending on how you look at it, there are no
6 federally-approved pesticide labels for use on
7 cannabis at all, and there's five that are approved
8 for hemp. At the time they were approved for hemp,
9 the Agency was looking at the uses at the time, which
10 included generally sort of the fiber piece of that.

11 So now the question you're raising, which is
12 the one we're sort of discussing, is now that hemp
13 products will be used for a multitude of uses, the CBD
14 oils being sort of the -- one of the primary drivers,
15 and the medicinal qualities of some of those, how we
16 go about the risk assessments and the end uses and the
17 studies that are going to be required as sort of the
18 question of the day. Does that answer your -- and
19 working in collaboration with FDA and our other
20 federal partners.

21 MR. GRAGG: Sure. And Florida A&M University
22 is doing a pilot project on hemp for the state. But
23 my suggestion is that according to your questions,
24 questions for PPDC, I've -- I have a suggestion but
25 I'm sure it's already going to be done. But, you

1 know, when we make these products and the way they
2 process the products would impact the level of -- or
3 could concentrate the applied pesticides into the
4 final product.

5 So I'm sure that EPA and FDA know all that.
6 But that would just be my comment in terms of you said
7 are there new or different exposures based on the crop
8 that have not been modeled by EPA. And I'm not aware
9 of what's similar to this type of product for
10 consumption and the way it is -- so this is a product
11 that you could have in oil. You could consume it,
12 digest it, and I guess smoke it, too.

13 So it's not only how the product is produced
14 or processed, but it's also the administration or
15 delivery of the product to the client and/or patient
16 that would also govern or impact what type of
17 exposure, and, of course, whatever the pesticides are
18 that are going to be eventually allowed or regulated
19 to be used at the federal level.

20 So would the federal level overtake the state
21 level? Because Florida has current -- for example,
22 has statutes on pesticides in hemp -- pesticide use --
23 well, they call it medical marijuana. But their
24 medical marijuana is the low THC, is the cannabidiol
25 stuff. So they do have it and they make reference to

1 some of the federal statutes and Florida statutes,
2 EPA. So my question is -- and maybe somebody said it
3 already. Well, how are you going to look at what the
4 states are doing, those that are out front, how will
5 that fit into the future plans for EPA and FDA?

6 MR. MESSINA: So two responses to your
7 question. So, yes, we are aware of the -- as you're
8 refining the oils, you may be bringing other stuff
9 along with that. And so that is an area that we need
10 to look at.

11 On the regulatory front, it is -- we are
12 going to be dealing with the substances that we can
13 regulate that are legal at the federal level. And
14 that is exclusively hemp as approved by the 2018 Farm
15 Bill. The states do have varying positions and laws
16 on cannabis, and in that respect there are differences
17 between the Federal laws and the state laws with
18 regard to that treatment. But we are only going to be
19 focusing on the registration of pesticides on the
20 approved and federally legal hemp products.

21 Does that answer --

22 MR. GRAGG: So that -- that is based on the
23 definition you have in the slide. Correct?

24 MR. MESSINA: Right. That is based on the
25 authority that we've been given through Congress.

1 MR. GRAGG: Yes, yes. I mean, the definition
2 of hemp and the different products, all the list you
3 have there --

4 MR. MESSINA: Yes, yes.

5 MR. GRAGG: -- on the definition according to
6 the statute.

7 MR. MESSINA: Yes.

8 MR. GRAGG: So then how are you going to
9 reconcile, or will you or maybe it's just understood?
10 So, for example, the Florida statute says pesticide
11 use on medical marijuana, but then it -- what does it
12 say -- any pesticide used in the production of medical
13 marijuana or low THC cannabis? So will your -- this
14 authority fall or cover the low THC cannabis, or
15 because the title of the statute says medical
16 marijuana then it's not hemp? How would those issues
17 be reconciled?

18 MR. MESSINA: I will say that we will be
19 addressing -- and as Dr. Bennett pointed out, the
20 distinguishing factor between the legal hemp as
21 allowed by the Farm Bill is the THC content of .3
22 percent dry weight basis.

23 MR. GRAGG: Mm-hmm.

24 MR. MESSINA: That is where the federal space
25 will be regulating. The states, on their own, have

1 regulated in the space where they have at the state
2 level approved medical marijuana or, you know,
3 cannabis production at a different THC level. But
4 that is different from the federal requirements. Does
5 that --

6 MR. GRAGG: Okay. Thank you.

7 MR. MESSINA: And if you'd like to talk offline
8 about some of the wonderful things that flow from
9 that, we can have a long and wonderful discussion.
10 I'm happy to have that with you.

11 MR. GRAGG: All right. Thank you.

12 MR. MESSINA: Okay.

13 MR. KEIGWIN: All right. So Eric had his
14 card up real quick. So Eric and then Jim, and then I
15 think -- because we've hit our --

16 UNIDENTIFIED MALE: 3:01, yep.

17 MR. KEIGWIN: 3:01. But go ahead.

18 ERIC: So first I want to say thank you to
19 Liza for the earlier segue. The Tribal Pesticide
20 Program Council's concerns regarding pesticide
21 regulation are exactly aligned with AAPCO's in terms
22 of FIFRA, particularly in terms of cooperative
23 agreement grants and FIFRA.

24 So the next thing I had was I don't have
25 anything on my desk right now on marijuana or hemp,

1 but I do have a recent question from the Range
2 Management Department on the Colville Reservation
3 about a grower who wanted to spray for rush
4 skeletonweed and there were tribal members that also
5 gather bitterroot in that area, and bitterroot has
6 been gathered forever by tribes and long before white
7 settlers. So I don't know if the PPDC has done some
8 work with EPA as far as models go. So I don't know if
9 there's anything applicable there. But I'm just
10 throwing that out there.

11 And, lastly, how do you assess compliance on
12 that line in the sand? How do you -- do you contact
13 growers and ask -- are there cultivars that contain
14 higher or lower levels? How do you -- how do you work
15 with that?

16 MS. BENNETT: So right, now it's hard to know
17 exactly how this is going to look because we haven't
18 -- we haven't seen the final regulations. But we
19 believe that the statute is telling, saying that
20 before product can be moved into market it needs to be
21 tested. And so if it exceeds that limit, then -- and
22 I think Ed mentioned this, you know, or somebody --
23 Liza maybe said that -- yes, Liza did, talked about
24 that disposal needs to occur whether the states or the
25 tribal nations will oversee it, if they have their

1 plans or if USDA is going to oversee it, if it's an
2 individual grower.

3 So -- but, again, you know, the issue for so
4 many, the conversation today is if it is under .3,
5 once it goes past and whether it's compounded and
6 mixed and all this other kind of stuff, I mean, it
7 really -- it's no longer right now with AMS
8 jurisdiction and it's going to fall to whether it's
9 EPA, FDA, you know, again, states, tribal nations, in
10 fact, of determining further testing.

11 And I know that other states have talked to
12 us, and I think Kentucky did, too, that they have
13 licensing in place for their processors and there's
14 further testing down the road, down the line. So as
15 products move through the system to become the end
16 product, that some states have already put into place
17 what level of testing as it goes down that lane.

18 And, again, I don't know that tribal nations
19 have said that to me. It's not that they necessarily
20 aren't doing it. I just know that some states have
21 said that they're -- you know, that they continue to
22 regulate until the final -- the final product. So --

23 MR. MESSINA: Thanks. Tim?

24 MR. TUCKER: Thank you. I'd just like to say
25 I think with the no-chemistry thing that Scott was

1 mentioning, and no USDA funding for research and no
2 minimum tolerance levels, I've kind of decided whether
3 I'm going to be using CBD oil or not. But I was -- I
4 guess this is a question for Charlotte primarily. Are
5 minimum tolerance levels established after
6 registration, the process is complete, or does that
7 happen before? If we're talking about new products,
8 you know, not existing products, but if there's new
9 products that come on the market, are they established
10 after registration or before?

11 MR. KEIGWIN: Yes. So that's -- so FDA does
12 enforcement of the tolerances, but EPA establishes the
13 tolerances.

14 MR. TUCKER: Okay.

15 MR. KEIGWIN: So for food products, we
16 establish the tolerance at the same time that we issue
17 the registration.

18 MR. TUCKER: Okay.

19 MR. MESSINA: Okay. Well, thank you all and
20 thanks to all the members of the panel for a very
21 lively, engaging discussion. I think we all learned a
22 lot and there will be a lot more for us to learn. So
23 thanks again.

24 We are now at 3:05, 3:06. So let's come back
25 at 3:20. Thanks.

1 (Brief recess.)

2 MR. KEIGWIN: -- aerial vehicles. And Ed
3 Messina is going to lead us through this session --

4 (Recording malfunction.)

5 MR. MESSINA: Okay. Welcome back. Similar --
6 it stopped working. All right. Hopefully that's not
7 a sign. I'm here to talk about innovative technology
8 while the technology breaks.

9 So this is a followup to our conversation we
10 had in October where we introduced this concept. And
11 there's been some but not a lot of progress, mainly
12 conversations with folks. And, again, trying to get
13 educated on this topic. We've got a number of
14 speakers that we're going to hear from today.

15 So first on our panel, we have -- is Rose
16 calling in and is she available? Do we know yet, on
17 the phone? Are you checking?

18 MS. JEWELL: Rose is -- she should be online.

19 MR. MESSINA: Great. Okay. Rose, are you
20 there?

21 MS. KACHADOORIAN: This is Rose Kachadoorian.
22 Can you hear me?

23 MR. KEIGWIN: We also have a conference call.

24 MR. MESSINA: So others that are participating
25 on the line, if you could mute your line briefly.

1 Otherwise we're going to have to turn it down.

2 MS. KACHADOORIAN: Yeah. I'm just going to
3 be (inaudible).

4 MR. MESSINA: All right. So we will mute the
5 background and be talking to Rose. All right. So
6 Rose is the president of AAPCO and the co-chair of
7 AAPCO's Pollinator Protection Workgroup. She was a
8 member of the PPDC Pollinator Metrics workgroup and
9 was a two-term member of the SFIREG Pesticide
10 Operations and Management Committee. And she has been
11 with the Oregon Department of Agriculture for over 20
12 years and oversees efforts involving pesticide
13 registrations, applicator certification and licensing,
14 pollinators endangered species, the worker protection
15 standard and pesticide-related water quality issues.

16 And then we have Mr. Joel Buettner from the
17 West Coast mosquito and vector control stakeholder
18 perspective from Placer County Mosquito and Vector
19 Control in Roseville, California. Joel is the general
20 manager of the -- is it Placer or Placker, anyone from
21 -- Placker? Okay. Placer Mosquito and Vector Control
22 District, northeast of Sacramento, California, and is
23 currently -- currently serves as the chair of the UAS
24 Subcommittee for the American Mosquito Control
25 Association.

1 Joel holds a master's degree in integrated
2 pest management from the University of California
3 Davis and a bachelor's of science degree in biology
4 from the University of Washington. And his
5 professional interests include promoting innovating --
6 innovation through the use of technology and
7 protecting public health from risks of vector and
8 vector-born diseases.

9 We have Lee County, Florida, Mr. Ed Foley,
10 from the Lee County, Florida, Mosquito Control
11 District. Ed is the manager of the mosquito control
12 with Lee County Mosquito Control District and is
13 currently completing a master's of science program in --
14 environmental science from Florida Gulf Coast
15 University. He has five years of operational
16 experience in public health mosquito control and he
17 currently oversees all of Lee County Mosquito Control
18 District's operations, which include ground and
19 aerial-based treatments with both larvicides and
20 adulticides.

21 And we have Lee County Hyacinth Control, Mr.
22 Kevin Watts. Kevin is the Deputy Director for Lee
23 County Hyacinth Control District and has 24 years of
24 experience in Florida aquatic weed control. He earned
25 his bachelor's degree in environmental studies from

1 Florida Gulf Coast University.

2 And then we have our very own Damon Reaby,
3 National Agricultural Aviation Association. And Damon
4 owns and operates two aerial application companies in
5 Wisconsin. His companies operate nine aircraft
6 consisting of both fixed wing and helicopters. Damon
7 serves on the National Agricultural Aviation
8 Association Board of Directors, the Government
9 Relations Committee Chairman for the NAAA, and the
10 Chairman of the NAAA Ad Hoc Committee providing
11 expertise on the subject of spray drift risk
12 assessments to both EPA and USDA. He's a member of
13 the Professional Aerial Applicator Support System
14 Development Committee and is a PAASS program
15 presenter.

16 Damon is also an active aerial applicator
17 himself, operating aerial application airplanes and
18 helicopters approximately 700 in-flight hours per
19 year. And Damon lives in Wisconsin, who we all know.

20 So with that, I'm going to do as we did the
21 last time. I'm going to do a little bit of setup of
22 where we've been as an Agency on this, you know,
23 recently since October. I'll talk about some
24 potential PPDC questions for setup, and then kick it
25 over to our speakers to hear from some great speakers

1 and topics.

2 So, with that, let's see, this is working.

3 Okay. So, you know, at the last PPDC I talked a
4 little bit about how -- and from my perspective, you
5 know, UAVs sit within the space of emerging
6 technologies. And how emerging technologies,
7 precision farming and the like are influencing the way
8 pesticides are being used, which influences and
9 provides a need for EPA to understand how these new
10 technologies are going to change the way they're being
11 used and the extent to which, as we're reviewing
12 registrations or doing re-registrations, if these new
13 tools are available can we then, as we're doing our
14 registration of you, take them into account and how do
15 they change our risk assessments.

16 And so UAVs are sort of an example of that, I
17 would say, innovative technology that we have. Many
18 different types of UAVs from your store-bought, over-
19 the-counter to your full scale certified helicopter,
20 you've got many different types which creates use
21 scenario issues. Right? So you've got the single
22 rotor; you've got quad copter; you've got 12-rotor
23 systems. They can be anywhere from, you know, as big
24 as sort of your laptop to as wide as the conference
25 room table here and carrying varying degrees of

1 payloads and varying degrees of airflow coming off the
2 rotors as you're spraying the pesticides, different
3 sort of applications and uses.

4 So, you know, with regard to UAVs, we do
5 receive questions from this industry that's interested
6 in expanding into different uses regarding, you know,
7 what our position has been on UAVs, how to apply
8 pesticides in compliance with product labels and how
9 to ensure label compliance as they're using UAVs to
10 apply pesticides; also seeking regulatory approval and
11 coordination with the FAA.

12 And then for registrants, the need for
13 guidance for appropriating UAV products for aerial
14 application, and then states sort of understanding the
15 lay of the land in terms of how UAVs are being used
16 and how pesticides are being used to -- through UAV
17 application.

18 There's a number of potential benefits.
19 There's also a number of potential risks, which, as an
20 Agency, we are frequently called on to balance. There
21 is a potential reduction in worker exposure. The
22 ability to do targeted applications using GPS,
23 precision GPS and geofencing where you can have the
24 UAV be applying closer to the canopy and at a
25 particular sort of fence line distance and marking off

1 areas where you don't want that precision device to be
2 going.

3 And then on the safety side, it's smaller
4 payloads. So maybe you have frequent filling and
5 loading from worker exposure, so how does that work?
6 You have smaller payloads. You potentially have
7 nozzle size differences. You have difference from
8 rotor washes. So how do we -- and there's, as I
9 mentioned, a myriad of shapes and sizes for these
10 technologies and how do we account for all the varying
11 different degrees of those applications.

12 This next slide talks a little bit about some
13 of the things we've been looking at for the benefits
14 of UAVs. In high altitude areas or really sharp
15 terrain where you may not want to send, you know, a
16 pilot into, it creates, you know, certain ability to
17 have beneficial safety. There's a number of
18 applications for controlling weeds on cliffs where
19 they're, you know, shooting the little pellets at the
20 cliff and sort of the paintball application, which is
21 less than precise.

22 And so, you know, if the UAV can get up there
23 right at the hillside and apply a pesticide, you're
24 actually doing it in a more precise manner. Potential
25 to be faster and less expensive than traditional

1 aerial applications. Right now, there are commercial
2 applications and we're going to hear from some folks
3 that are using them where they are cost-effective.
4 And so as the price of these new technologies
5 decreases, as it happens over time, you're going to
6 see new and greater expansion of this potential
7 application.

8 I mentioned potentially less worker exposure.
9 So you could have smaller tank sizes and more frequent
10 loading, but you can also have an automated system
11 where the UAV just docks and gets its payload and then
12 it's done automatically and it's a closed system and
13 then takes off. And so you could have scenarios where
14 there's actually less worker exposure as a result of
15 using this new technology.

16 Potential increase in safety for pilots in
17 difficult terrain areas. Using this application where
18 you might not otherwise be able to use airplanes. We
19 saw -- in October we had a presentation, and they're
20 in the notes and the transcript where we had somebody
21 who was using UAVs for forestry applications in really
22 hilly areas out west where they were actually doing
23 the seed and the spraying on hillsides where it was
24 really hard to get planes and helicopters in very
25 tree-lined areas. So that was a commercial

1 application that was being used.

2 I mentioned applications being made closer to
3 the canopy, which has the potential, again, to reduce
4 spray drift. But all the other factors involved
5 contribute to spray drift, and so that needs to be
6 analyzed, the rotor and the nozzle size.

7 Spot or partial field applications become
8 more viable. And then this is an interesting one.
9 Sort of nighttime application. So as we talk about
10 pollinator protection and we want to encourage labels,
11 and let's say there's a label that is impacting
12 pollinators and we -- rather than, let's say, for
13 example, hypothetically, we'd need to off label
14 certain applications when we do our registration
15 review, if we're able to retain that application
16 because we can say, you know what, apply at night and
17 that's going to reduce the exposure to bees, and we
18 retain the ability for that tool in the tool box for
19 the grower and this technology helps with that
20 nighttime application because the UAVs don't
21 necessarily need to see at night. You know, you've
22 got thermal applications.

23 And I know that some of the mosquito control
24 district folks are actually using night. When they
25 spray at night, they're using night vision. But does

1 this technology, in fact, enable us to have better
2 pollinator protection?

3 So sort of encouraging or saying, you know what, you
4 can only spray this at night and now there's a way for
5 farmers to do that.

6 Some of the potential -- wait. Did it turn?
7 There we go. So, you know, some of the questions
8 we've been presented with and we've talked about this
9 in October, labels currently where they say aerial
10 application, does that mean UAVs?

11 At the time that we did the assessment, UAVs
12 weren't here. We were looking at helicopter rotor
13 wings and we were looking at airplanes, and we were
14 looking at boom length and we were looking at model
15 downwash. So is it -- is it a -- you know, do -- does
16 aerial application include UAVs?

17 There has been some preliminary guidance out
18 there in the form of conversations with folks and
19 emails saying that the Agency does consider it. But
20 is that sort of the most official statement that we
21 want to have and should we really analyze in more
22 depth sort of what the current practice is in terms of
23 allowing UAVs to come under the aerial application
24 definitions in the labels, and is that the right
25 approach.

1 FIFRA labeling compliance issues with UAV
2 applications. We talked last time about boom length
3 being an issue. The boom length, some of the
4 requirements on the labels are linked to the rotor
5 width. And so because these UAVs have varying
6 different rotor widths, the boom length metrics or
7 calculations you need to do sometimes don't line up
8 with the physical aircraft in terms of how you
9 calculate that. And we know that the label is the
10 law.

11 So how do we -- how do we enable UAVs to sort
12 of comply with that provision? So there's been
13 certain compliance issues that in conversations with
14 the UAV folks, you know, how do we comply with this
15 particular label provision when it wasn't necessarily
16 contemplating UAV use when we approved aerial
17 application.

18 I talked about sort of the uncertainties in
19 the modeling and assessments; what are data needs for
20 these systems. What are the Agency policies that we
21 need to put out there to really provide some
22 certainty.

23 You know, there's the UAV industry where we
24 certainly don't want to discourage its growth, but
25 there's also the level playing field approach or the

1 fixed wing folks who are doing and done all the
2 studies and doing it, you know, and complying with the
3 labels in a way that we want them to. And so we
4 appreciate the level playing field issues here with
5 regard to UAVs and the fixed wing folks, and the
6 helicopters.

7 Who's the operator of the UAV? When you've
8 got maybe five people out there in the field and, you
9 know, with the FAA opening up the ability to use
10 pesticides through UAVs and the training and the
11 different requirements you need to take, you know, we
12 -- you have the pilot's license. You have the 173 or
13 the 127 forms for hazardous applications for FAA. Who
14 is the operator for certification training, for worker
15 protection issues when there is various folks doing
16 different roles? Right?

17 There's the guy driving the UAV; there's the
18 person maybe applying the pesticide; there's the
19 person with the kill switch. So there's multiple
20 operators associated with these particular
21 technologies.

22 I talked a little bit about drift and the
23 potential benefits -- drift reduction benefits and
24 also potentially some of the different types can
25 potentially be increasing drift and how do we analyze

1 that?

2 And then this technology is constantly
3 changing, as is any new technology and how do we
4 account for, you know, all of a sudden we've got the
5 14-wing propeller UAV that's out there and that
6 carries, you know, a ton of payload or, you know, it
7 just -- it keeps changing almost every day and how do
8 we keep up with that.

9 So since October and a little bit before,
10 we've been having conversations with lots of folks.
11 We've been doing some fact-finding here. We've talked
12 to FAA. We've -- since October 2017, we had a
13 workgroup on UAVs where we're trying to have internal
14 conversations. Our PPDC October meeting, our SFIREG
15 meetings. I recently spoke at AAPCO where we had a
16 panel with FAA, with various folks from different
17 associations and folks that represent the UAVs and the
18 folks that represent the fixed-wing folks and some of
19 the modelers that are in the states trying to do some
20 of the modeling for these aircraft and nozzle types
21 and different sort of wind flows. And then, you know,
22 the regions in the states interested in this topic as
23 well.

24 So these are -- as we've identified for the
25 Agency -- some potential next steps. And we'd sort of

1 throw these out there for consideration in addition to
2 the last slide of my presentation, which is sort of
3 questions to consider as we hear the speakers.

4 I think it's incumbent on us to really -- and
5 we have been thinking hard about what does our policy
6 document look like for UAVs. You know, what
7 statements do we immediately need to put out there in
8 more of an official capacity to understand and
9 appreciate the level playing field issues and also
10 encouraging the use of technology.

11 Addressing label interpretation concerns.
12 Again, the boom length and rotor specifications. What
13 are the data gaps and sort of trying to get a handle
14 on those. Understanding the scope of the products and
15 use patterns similar to our last discussion.

16 Developing regulatory structure and parallel with FAA,
17 which aligns with Agency-wide policies. Creating an
18 OPP strategy that coincides with the evolution of UAV
19 technology as opposed to hindering it. You know, sort
20 of making sure that we're doing things to encourage
21 this use as an available tool for growers where folks
22 want to use them.

23 And then issue Agency guidance policies
24 outlining acceptable UAV use patterns that covers
25 labeling, regulatory issues, safety issues and any

1 enforcement issues. And then, again, any other
2 suggestions that folks want to put up there.

3 The last slide is questions to contemplate as
4 we're hearing from our next speakers. And we've got
5 -- in view of the -- in the view of PPDC, what are the
6 important trends and developments regarding UAV
7 technology that EPA needs to understand. What does
8 the PPDC believe are the most viable ways for EPA to
9 both account for in terms of chemical exposure and
10 risk assessments, and also support in terms of serving
11 user needs the adoption of UAV technology.

12 What data sources are PPDC members aware of
13 that can assist EPA in developing appropriate risk
14 assessments and regulatory positions for UAVs?

15 So, with that, I'm going to see if we can get
16 Rose on the phone and tie her in for her presentation.
17 Rose, are you there?

18 MS. KACHADOORIAN: Yes, I am. I am. There's
19 a lot of noise. So I already -- oh. Oh, gosh. I'll
20 let Liza Fleeson give this and that way you won't have
21 this unmuted, if --

22 MR. KEIGWIN: Give us a second to work out
23 the technical issue.

24 MS. KACHADOORIAN: Okay.

25 MR. KEIGWIN: We might be able to solve it.

1 Is your mic on?

2 (Brief pause.)

3 MS. JEWELL: Rose, can you hear me?

4 MS. KACHADOORIAN: Yes, I can. There's an
5 interesting noise there.

6 MR. KEIGWIN: I think it's working. So why
7 don't you give it a try.

8 MS. KACHADOORIAN: Okay. All right. Well,
9 you know, Ed, you covered some really interesting
10 areas that I'm going to also be touching on. So I
11 think that was really great. I'm going to, I think,
12 move just to slide two, and I think most people there
13 are familiar with AAPCO, an organization composed
14 mostly of state lead agencies.

15 And, you know, a couple of things we do is we
16 register pesticides. We enforce label language and
17 other laws. We have various committees and
18 workgroups. And recently there was a lot of
19 discussion as far as coordination with the U.S. EPA
20 around UAVs and other forms of technology.

21 What we were having is a lot of, you know,
22 various states contacting different people at EPA and
23 not -- not necessarily having it as coordinated as it
24 should be, and certainly we were giving a lot of
25 presentations at SFIREG and AAPCO, which was useful.

1 But I think it really highlighted that we needed to
2 have maybe a little bit more formal structure.

3 Slide three. So part of the mission of the
4 new AAPCO technology workgroup would be to work with
5 various technologies and to really learn about what
6 they're doing. There was a lot of questions. At this
7 point, their focus is going to be application
8 equipment and how that relates to label interpretation
9 and compliance and who is technically the applicator,
10 as Ed brought up, and really ultimately who's
11 responsible.

12 We're starting with UAVs because that's where
13 most of the questions are coming from. But what we
14 foresee in the future is we are hearing talk about
15 robots and a lot about micro-rate dispensers and also
16 artificial intelligence where you might not even have
17 a human being making that decision; that you could
18 have basically a piece of machinery going down a field
19 not only just deciding what weeds to clip but also
20 what weeds to spray. So who is really the applicator
21 there and other issues and how does that relate to
22 what's on the label.

23 So slide three. And, you know, Ed brought
24 this up as far as who's the applicator. This was our
25 situation here in Oregon where we had envisioned that

1 it would be just one person flying this drone, but
2 instead we would have four, five people out there each
3 having a little piece of what was going on. And so we
4 questioned what do we do with licensing, who has to
5 wear what PPE.

6 Slide five. And so one of the things that
7 we're anticipating the technology workgroup doing is
8 to develop a guidance; work with EPA and I know that
9 they're developing a policy guidance. But we would
10 have one that was set up more for state lead agencies.
11 And so they would be working together.

12 One would be like, for example, PPE. So you
13 have somebody who is basically typing away on a
14 keyboard and they're technically an applicator. And
15 we have a requirement for thick gloves, or you have
16 somebody holding a remote controller and there's some
17 PPE requirement. What does somebody -- when you have
18 a pesticide inspector go out there, how do they look
19 at that situation?

20 They're looking at a pesticide label that has
21 certain requirements on it, but yet these people who
22 are technically applicators aren't wearing them
23 because it's just not physically possible, and, again,
24 other label requirements that might be there. Ed
25 mentioned the nozzle situation, as far as the boom

1 length, all of those, how that might be worked out in
2 a guidance document.

3 Slide six. Some of the questions we've been
4 receiving is actually WPS-related and it has to do
5 with the application exclusion zone. If somebody is
6 making an aerial application using a UAV, are they
7 following the 100-foot for aerial or are they
8 following a 25-foot for ground application?

9 Also, sometimes we have pesticide labels with
10 buffer requirements next to waterways. What buffer
11 requirement does the applicator of a UAV follow? And
12 we're really thinking is this some kind of hybrid
13 method that, you know, we don't have the data to
14 support either direction. And I think that's what Ed
15 touched on there as far as the need for data.

16 But we're in a position right now that, you
17 know, we have these applications going on now and we
18 have inspectors asking us, well, what -- what do I do;
19 what am I supposed to be following? So we're hoping
20 that we can maybe speed things along to help the
21 people who are actually in the field be able to
22 provide some kind of guidance to the applicators, and
23 also us as managers to let our inspectors know what we
24 expect of them.

25 Slide seven. So basically we have a lot more

1 questions right now than we have answers. We're still
2 setting up our first meeting, though. But one of the
3 questions that has been posed to us is FIFRA 2(ee)
4 applicable? Part of FIFRA 2(ee) indicates that any
5 method of application is -- if it's not prohibited by
6 the labeling, that they could use that.

7 So how does that fit in with this situation?
8 And then somebody brought up, well, there is this kind
9 of almost exception to that 2(ee) and that has to do
10 with some information, some standards indicated in the
11 pesticide registration notice 87-1. This is from,
12 like, 1987 when EPA decided that to protect water
13 quality that they needed to have additional
14 information; if this was going to be an application
15 method, that there had to be additional restrictions
16 and directions on the pesticide label.

17 So are we going to see something like this
18 eventually out of EPA, I think we could all agree it
19 might be a little premature at this point. We're
20 still learning information, but is that something that
21 we might end up seeing.

22 Also, states have asked, well, do we -- what
23 data do we even need? If we have a UAV operator come
24 to us and say, well, this label only allows ground
25 application or only allows application by helicopter

1 or fixed-wing airplane, what information would a state
2 need to grant a 24(c).

3 So hopefully that workgroup would collect all
4 of that information, coordinate comments with the U.S.
5 EPA and then provide the information back to the state
6 lead agencies.

7 So to kind of wrap this up, really their
8 mission will be coordination; to learn about new
9 technologies, also; to identify potential issues, and
10 that also the solutions because I think we can all
11 come up with a lot of issues. But then to come up
12 with a solution sometimes is a little bit more
13 difficult; work with EPA, work with SFIREG and its
14 working committees, and then develop some kind of
15 guidance for the state lead Agency.

16 So then I'm onto my last slide. Sorry I
17 moved ahead there and didn't tell you. So that's all
18 I have about our new AAPCO technology workgroup. It's
19 -- you know, we haven't met yet, but we have done some
20 discussions about this and hope to have more for you
21 in the future. Thank you.

22 MR. MESSINA: Thank you, Rose. And we are
23 looking forward to interacting with the AAPCO
24 technology workgroup. I think it's great that it's
25 been set up and we'll have our folks reaching out to

1 you guys. So thank you. And we've already sort of
2 had some initial conversations about how to get
3 together.

4 So, with that, I'll kick it over to Joel.
5 Joel, are you on the phone?

6 MR. BUETTNER: Hello. Can you hear me?

7 MR. MESSINA: Yes, thank you.

8 MR. BUETTNER: Great. Thank you. Thanks so
9 much for the opportunity to present. I am -- like I
10 was introduced, I work in Placer County in Northern
11 California, and we've been working with drone
12 technology, small unmanned aerial systems since about
13 2016.

14 This is a map of our district. We have
15 really varied terrain from the flat lands to the west
16 all the way up to the north portion of Lake Tahoe. So
17 we were looking at this technology and really
18 interested in its ability to access difficult-to-
19 access areas; potential for improvement in performance
20 of our field technicians, and also some worker safety
21 issues in terms of they don't -- you know, we don't
22 have to have people go out on snowshoes, which does
23 happen.

24 Just a little background on what we do. We
25 have what we consider a comprehensive mosquito and

1 mosquito-borne disease program that's based on
2 surveillance. So we do a lot of activities to gather
3 the data to inform or treatment decisions. So this is
4 trapping both adults and larval detection. We have an
5 onsite lab. We do disease testing. And basically
6 this generates a bunch of data.

7 And I'll come back to this later in the talk,
8 but I think while we're talking about the unmanned
9 aerial vehicles there's associated technological
10 developments that are very important here. This is
11 some data analysis. This is a real-time data
12 dashboard. It helps us when and where we can apply
13 this new technology drone.

14 So, you know, these things kind of go hand in
15 hand, and I think that's something that's sometimes
16 overlooked when we're just focusing on the flying
17 thing in the air.

18 With that said, we are very focused on having
19 good data, having science-based decision-making, to
20 inform our treatment decisions. And I'll get more
21 into that in a moment.

22 And then finally over here on the west coast,
23 we are definitely driven by West Nile risk and other
24 vector-borne disease risks. So that kind of helps
25 direct where these applications might happen.

1 Okay. Our mosquito control toolbox. So
2 (inaudible). But the ones that most avail themselves
3 of UAVs, obviously larviciding and then adulticiding.
4 I would say that's inclusive of finding when and where
5 to apply.

6 So that's kind of where we started back in
7 late 2016. We got this small DJI Phantom IV UAS and
8 just tried to answer the question, can we see where
9 the water is? Can we get a better perspective and
10 better targeting both in time and space of where we
11 need to do preventative mosquito control?

12 That launched into a lot of interest from our
13 staff. We did some training. We built up our
14 infrastructure in terms of safety plans and protocols,
15 testing protocols, how do we even just fly these
16 things around safely. That evolved into some other
17 mission types. And all of this is not related to
18 pesticide applications (inaudible).

19 We actually did a project where we landed a
20 waterproof drone on water to detect mosquito larvae.
21 And over a couple of years, we finally got to this
22 drone here on the right, which is the one that we are
23 using to apply (inaudible) water. So -- and that's
24 what we're talking about today.

25 So really this is a list of those mission

1 types. It was quite a process and I think at least
2 for us it was very important to have gone through this
3 test. We have a better idea of how to safely operate
4 and integrate UAS technology in our (inaudible).

5 And I don't think our guys or us as managers
6 are really -- would be in the -- have the same level
7 of -- we wouldn't be as comfortable -- same level of
8 comfort jumping into pesticide applications had we not
9 gone through these other steps.

10 Okay. There was some mention earlier --
11 earlier talks about the application regulations. And
12 I'll just quickly review them. Back in 2012 with the
13 FAA Reorganization Act, the FAA called somewhat
14 automated flying things aircraft. So UAFs are
15 aircraft according to the FAA, and we have to follow
16 those rules.

17 What we're using is we chose to operate our
18 pesticide applications under the civil portion of the
19 FAA rules, Part 107, which is the small UAFs rule, and
20 Part 137, which regulates pesticide application. This
21 is how most commercial operators would probably
22 approach FAA regulation compliance at this time.
23 There's some other options. There's Part 333
24 Exemptions for those who want to fly and apply with
25 UAFs that are larger than 55 pounds fully loaded. And

1 then some agencies also -- well, public agencies can
2 operate under a public aircraft certificate of
3 authorization.

4 I won't get too much into this, but for the
5 purposes of our district we're operating in this area
6 right now. So I think there'd be some applicability
7 to ag uses and other commercial uses.

8 On the pesticide application side, certainly
9 from our perspective as an operator on the ground we
10 have to comply with our state pesticide applicator
11 certification. We do that through our Department of
12 Public Health in California as vector control
13 technicians. We also have -- we have to comply with
14 our state aerial application certification which is
15 above and beyond the FAA. And in California, we
16 actually had to get some legislation changed slightly
17 to allow unmanned aircraft pilots to do this. We're
18 currently awaiting the final release of those
19 regulations and the tests and so forth sometime later
20 this summer.

21 And then finally as it's been mentioned,
22 product labels. In mosquito control, especially with
23 mosquito larvicides, which I'll get more into in a
24 moment, we feel that the labels are -- work pretty
25 well. Our labels tend to be fairly low volume. The

1 materials like BCI, which is a biological that's very
2 specific to mosquitos and flies and other relatives,
3 have very low nontarget impacts. So we feel pretty
4 comfortable that at this point in the evolution of
5 unmanned aircraft application it's a good match. And
6 we're moving forward with that. And hopefully that
7 can be helpful to others coming behind us.

8 These are just some pictures of our 137 exam
9 day with the FAA. These are -- the guys in the green
10 vests are our staff at the district, and the other
11 folks are from the FAA and we're describing our
12 operations and how we would operate a larvicide
13 application in the field. You'll notice that we had
14 to figure out, like, where do you put a container
15 label on a drone? So we actually had to create this
16 little placard to do that.

17 I'll just mention all this is water. So
18 we're -- we're faking it. But I think it's
19 important, again, that we've gone through this process
20 and developed these procedures so that when we are
21 ready to use live product, we're able to.

22 So, you know, in our daily operations, we use
23 lots of different spray equipment from backpacks to,
24 you know, ATV-mounted sprayers, to full-blown
25 airplanes and boats and things like that. So really

1 just taking a look at this new type of sprayer and
2 applying the same sorts of safety and mixing and
3 handling protocols made a lot of sense.

4 There were a few things that we had to -- we
5 ran into, like to drain this, it's hard to do it on
6 the ground and it's got rotors and things sticking off
7 of it. So we had to elevate it and we had a stand on
8 a table that makes it a lot easier to handle. So
9 these sorts of things just kind of come with
10 experience working with the equipment.

11 Okay. So let's get into the pesticide
12 application itself. What we're doing -- and we're
13 planning to go into full operation later this summer
14 -- is a mosquito larviciding. So for those of you who
15 don't know, we're applying a material on the surface
16 of the water that these mosquito larvae will ingest
17 and then they will die and not become adult
18 mosquitoes, which are the public health risk stage of
19 the mosquito.

20 This is an example of one of our test
21 flights. So this is our flight crew doing preflight
22 checks both for the aircraft and for the pesticide,
23 mixing and loading. And this is actually an
24 autonomous flight. And this means that there is
25 someone holding the controls but they're not actually

1 flying it. They have preprogrammed a target area
2 which is this wetland area, and programmed the rate
3 and the flow and the swath width and all the rest and
4 then basically hit go now and the -- the aircraft goes
5 and flies a pattern. It's very, very safe. It's kind
6 of -- you know, it's almost boring because you're not
7 really doing anything other than watching and being
8 ready to take over if something happens.

9 In over about 120 test flights that we've
10 done, we've had no issues with the loss of control.
11 And this is a very kind of characteristic type of
12 habitat that we would be operating in. So you can see
13 kind of the benefits -- sorry about that. But you can
14 see the benefits of -- the alternative is to drive in
15 there with an amphibious vehicle, have people -- a
16 bunch of people put on waders and go walk through that
17 to control mosquitoes. Using the UAV really has
18 benefits in efficacy and safety from -- I think from a
19 worker standpoint and from an environmental
20 standpoint. I think, you know, repeated driving
21 through wetlands is something that we want to avoid.

22 But in order to do all that effectively, we
23 need to know more. And, again, I heard a lot about we
24 need more data. We're here trying to collect that,
25 again, by applying the sorts of processes and data

1 collection techniques that we use on other spray
2 systems like a standard swath width, droplet
3 characterization that you do with a manned aircraft,
4 we're doing with our unmanned aircraft. And we're
5 getting some good -- good results. Again, there's
6 nothing really to compare it to.

7 Just a little aside, this is -- these are
8 screen shots from a DJI. So this is a company that
9 makes the -- makes the UAV. It's their droplet
10 reader. So we're kind of evaluating their other
11 techniques, your other devices that can be used. This
12 works okay. There's some limitations. But it works
13 (inaudible) droplets. Obviously we're trying to
14 understand effective swath widths and get some of that
15 basic data that doesn't exist for some of these
16 devices.

17 Moving on, the other type of spraying that we
18 are not currently doing as a district but would like
19 to in the future, we think this is going to be a more
20 difficult operation to pull off. But eventually I
21 think we can do it, is actually applying mosquito
22 adulticides. So while the other one, larvicides,
23 we're applying to water that's analogous to, like, an
24 agricultural spray, an adulticide treatment is trying
25 to impact flying mosquitoes in the air. So they're --

1 it's a very ultra-low volume application to a space of
2 air, you know, over a target area. And typically this
3 is done now by ground or manned aircraft over
4 relatively large areas.

5 We think there's a good niche for the UAV
6 that we can hit kind of those small to medium-size
7 areas maybe with a little bit better efficacy in
8 our treatments and maybe even be able to use less
9 products -- less product in an area because we're
10 being more effective at getting the mosquitoes that we
11 need to.

12 On that note, one of our first missions
13 actually was to try to investigate how our treatments
14 are working and also how to evaluate our atmospheric
15 conditions right up to a manned mosquito adulticide
16 mission by measuring the near ground temperature
17 inversion. We did that with our first drone. So this
18 is -- this is the drone right here. This is how we
19 normally do it with just a 30-foot pole next to the
20 truck with a wind meter.

21 We were able to actually fly this drone up
22 and down -- we did it before, during -- not during,
23 but before and after a manned aircraft application and
24 got some really interesting data that hopefully will
25 be able to help inform us on when we should go, when

1 the best time is to fly, and even more importantly
2 when is it a good time to fly because not only would
3 we be, you know, wasting the opportunity of
4 controlling mosquitoes, it's costly and, you know, we
5 don't want to be using products when they're not being
6 useful.

7 So this basically shows that there's kind of
8 stable air here. This is altitude and this is
9 temperature and the colors are the different runs that
10 we did. So, again, still a little bit rough around
11 the edges. We're not sure how this works exactly.
12 But it's very easy to get this type of data with UAV
13 technology.

14 Another application of technology, not the
15 unmanned vehicle variety, but this is one of those
16 accessory technologies. This is an auto-counting
17 mosquito trap that we were able to use to detect the
18 impact of a ULV adulticide from a truck on mosquito
19 activity.

20 So very quickly the blue line is the day
21 before, the -- this is timed in 15-minute increments.
22 So lots of mosquitoes flying at this time the day
23 before. The day of application, they tapered off, and
24 the day after application they stayed down.

25 This is very -- seems very simple. But it's

1 incredibly difficult to gather this type of data
2 without some sort of technological assistance. So I
3 think from this I would like to point out that a UAV
4 adulticide mission would be somewhere between a manned
5 aircraft mission and a truck mission.

6 And this speaks a little bit to the point I
7 believe Ed brought up earlier, is, you know, while the
8 FAA considers unmanned aerial vehicles aircraft, from
9 a pesticide application, because we can release at
10 different heights and go different speeds, we have a
11 lot more ability to fine-tune our application
12 parameters. We can make it kind of behave in a way
13 that is different than our more traditional manner.

14 So I think we could probably pull off
15 something that looks like a truck ground-based
16 adulticide more easily with a drone than with like a
17 manned aircraft just because of scale.

18 Okay. Just wrapping up here, the process
19 that we are working with and will continue to work
20 with to evaluate this technology for the use in
21 mosquito control is we want to start with emulating
22 our traditional applications and methods. So to do
23 that sometimes we have to understand our traditional
24 application is a little bit better; figure out ways to
25 measure efficacy, measure droplets if that's

1 important, or conditions such as wind, wind speed.

2 That all falls into number one.

3 The second one is to identify what
4 application capabilities for each UAS and associated
5 application system. What we mean by that is, you
6 know, in looking at a number of different types of
7 UAVs and spray systems, you've really got to look at
8 them together. And I know Ed mentioned quite a few
9 different configurations of UAVs. Just at this point,
10 I'm not convinced that all of them are going to be
11 good choices for spray system platforms. But some of
12 them might be. And I don't know that anyone really
13 knows which is which at this point.

14 Pardon me if someone does. I'd love to talk
15 to you. But at this point with what's available on
16 the market, it seems to me like there's really -- each
17 UAS spray system combination is good at doing what it
18 does and trying to do everything with one type of
19 aircraft is probably not realistic at this point.

20 We want to -- so evaluate those. We are
21 going to then use them to try to manage mosquitoes in
22 new places. So, again, that puts it back on us to
23 find out -- to figure out, you know, what are some new
24 targets that this technology allows us to access to
25 control mosquitoes that we weren't -- that weren't

1 available before with traditional methods. So can we
2 -- can we really know when, you know, mosquitoes just
3 emerge or when they're old or when they're sitting in
4 (inaudible). Those sorts of things kind of open up --
5 you know, that opens up our ability to really
6 investigate some of those with this new technology.

7 And then finally we -- they need to be
8 effective and efficient. Every time I've talked to
9 folks about what we're doing with the UAVs, everyone
10 lights up, is super excited and, you know, that's
11 super cool, that cool factor of, you know, flying
12 machines is great. But it can be also a distraction.

13 So, you know, really once we've gotten down
14 into doing operational spray applications with the
15 drone in the field, it's pretty boring. And I think
16 that's the way it ought to be. We shouldn't be super
17 excited, shouldn't be super fast and flashy. You
18 know, this is something that is very efficient. It
19 works well. You have to -- there's risks and benefits
20 like was discussed earlier, but once we're up and
21 running, I think it's going to become fairly evident
22 that this is just another piece of equipment, another
23 sprayer that's going to perform a job that we -- that
24 we have it do.

25 Okay. In closing, just to reiterate a couple

1 of points that I've said already, this is -- I think
2 UAS applications are here. And in terms of mosquito
3 control programs and our mosquito control program in
4 particular, it's going to be really important. We can
5 do things with this equipment that we can't or is
6 really, really hard with other equipment or really
7 cost-prohibitive or people-prohibitive in terms of the
8 amount of manpower that it takes.

9 Complimentary technologies are super-
10 important and we'll continue to work with those.
11 Mosquito larviciding and adulticide applications need
12 those specific equipment configurations. And I think
13 that's an area of research that needs to be taken on
14 by the drone or the UAV community. And, you know,
15 whether it's, you know, better modeling for, you know,
16 how the air flow affects sprays or any number of other
17 questions that may be for this to really kind of set
18 up, I think we need to tackle that one.

19 Mosquito control product labels I think are
20 good right now. But I can quickly see how some of
21 these labeling issues might be -- might become an
22 issue. And I for one do have a -- have an appointment
23 with our county ag inspector to come out and actually
24 look at one of our spray applications before we go
25 fully operational with them and maybe we can answer

1 some of those questions that were raised earlier.

2 And then finally I think we do need to be
3 proactive, and I commend this group and the work for
4 the EPA, working with the FAA, to really try to
5 understand all the different challenges and questions
6 that are going to arise and have arisen regarding
7 these applications. And we're certainly very excited
8 and available here to help with input and answer
9 questions and share our experience the best that we
10 can. Thanks very much.

11 MR. KEIGWIN: Thank you, Joel, for a great
12 presentation.

13 With that, we'll move on to Ed. Ed, are you
14 on the line? Ed Foley.

15 MR. FOLEY: Hello, I'm here.

16 MR. KEIGWIN: Great. We can hear you. We're
17 adjusting the slides, so give us one second.

18 (Brief pause.)

19 MR. KEIGWIN: Okay. Ed, you should be in
20 control of the slides.

21 MR. FOLEY: All right. Looks good from my
22 end. Do you look good on your end? Does it look all
23 right?

24 MR. KEIGWIN: Yep, we're good.

25 MR. FOLEY: All righty. Thank you very much

1 for that. So, again, my name is Ed Foley. I'm the
2 manager of mosquito control here for Lee County -- Lee
3 County Mosquito Control. My background has to do more
4 with the operational side of the house, more of the
5 hands-on larviciding and some of the adulticiding
6 work.

7 I am actually joined by our special projects
8 manager, Rita Maiss. She has about eight years of
9 experience as being a pilot with Lee County Mosquito
10 Control. She's dual rated for helicopter and fixed
11 wing, and she has plenty more pilot background history
12 among that.

13 So what I have in store has more to do with
14 the operations, and any questions, I'm sure she can
15 kind of help me out with that.

16 Okay. So a little bit of background about
17 Lee County for those who may not know. We're down
18 along Florida's Gulf Coast down in Southwest, Florida.
19 Lee County Mosquito Control is a little bit unique.
20 We have quite a bit of salt marsh. We have over
21 56,000 acres of salt marsh habitat, very little of
22 which is actually managed for mosquito control through
23 the use of impoundment. So a lot of what we do is
24 more of a reactive based on tide and rainfall events
25 in the summertime. So we stay quite busy. We're

1 actually established in 1958. So we've been around a
2 little while.

3 Here we go. Like Joel mentioned, you know,
4 larviciding, the act of actually targeting mosquito
5 larvae or mosquitoes when they're in their juvenile
6 states when they're in the water, a lot of what we do
7 is very much an aerial-based program here at Lee
8 County. Because we are so reactive and have so much
9 mosquito breeding habitat, we actually operate a fleet
10 of six Airbus H125s. So a lot of what we're doing
11 through the summertime, through the mosquito season
12 like I call it, has to do with inspectors going out,
13 surveillancing hard-to-reach areas by helicopter,
14 finding mosquito larvae and being reactive and turning
15 around and spraying it and getting them kind of
16 controlled.

17 So we have liquid and granular capabilities
18 with our aircraft. And like I said, the larviciding
19 side of things, these are the hard to reach -- hard-
20 to-get-to areas. Now, we do have a ground operation
21 here. We have six ground larviciding trucks, six
22 field inspectors that go out daily. And the majority
23 of what they're doing is going to the neighborhoods
24 and roadways and ditches and that kind of area. So
25 more urbanized than anything.

1 And then our adulticiding program, we do have
2 13 ground adulticiding vehicles. These go out on an
3 as-needed basis. So we can treat about 15,000 acres
4 or so per truck, and we average about 600,000 acres a
5 year. And these are more reserved for a smaller
6 neighborhood type area.

7 Our aerial adulticiding program, we have
8 quite the fleet there. We have several planes, makes
9 and models, a little bit of everything. But we have
10 basically the capability to treat about 23,000 acres
11 per plane. And in the summertime, we could have, you
12 know, two or three planes up per evening.

13 So, again, we are very much an aerial
14 program here. So that kind of dictates a little bit
15 of where we're kind of going with our treatments of
16 the UAVs.

17 So our current use of UAVs are kind of
18 starting small, if you will. We're using -- we have a
19 couple of the store-bought products, the Phantom 5,
20 and we have the Swellpro. We're currently using them
21 now for inspections, pictures, training, that kind of
22 stuff more than anything. We're in the process of
23 purchasing a drone similar to Joel out there in
24 California where he's talking about using them for
25 spray capabilities. We're trying to see what we're --

1 how it's going to best benefit us.

2 So what we're talking about now is, you know,
3 we're more or less looking at -- for larviciding only,
4 very much like California. We're talking about a 35
5 or so pound payload. And we like the liquid and
6 granular capabilities for the larviciding. And we
7 really need the flight and spray data recording.
8 Everything we do is tracked for spray on and spray
9 off, and all of our treatment areas are preprogrammed
10 in advance with our helicopters.

11 Let's see, here's a little list of some of
12 our goals of kind of what we're looking for when it
13 comes to that. So our short-term goals are more or
14 less to incorporate more of the camera uses or camera
15 capabilities of the UAVs. My God, the cameras are
16 fantastic on these things. The ability to take a
17 small unit and take it above the treetop level and be
18 able to see what the tide is doing, is the tide
19 creeping in, is it not too bad, how'd the rainfall do,
20 that alone is very beneficial.

21 And more or less in the short term when we
22 acquire our actual larviciding UAV, you know, we're
23 looking at basically augmenting some of the
24 applications that we would otherwise be doing by
25 ground, you know, how can we make those applications a

1 little bit easier? So kind of starting small and
2 build up and make it kind of easier as we go.

3 Some of our midterm goals is kind of looking
4 at how we can augment some of our aerial larviciding
5 applications. And I have a couple lists here, you
6 know, some edge spraying, smaller treatment areas,
7 sensitive treatment areas, and I have really good
8 examples of those.

9 And then our long-term goals, you know, I
10 kind of put some question marks on there. And the
11 idea with that is the technology is turning around so
12 quickly. It is just so much more advanced than it was
13 a year ago. So for long-term goals, we have some
14 ideas of what we're wanting to reach. But there's no
15 telling what's going to be on the market in just a
16 short period of time to be truthful.

17 I'm not going to go into it too much in this
18 presentation here, but I have sterile insect release.
19 We are currently setting up a sterile insect facility
20 here at Lee County. We're actually going to be
21 rearing, sterilizing and releasing our own mosquitoes
22 for aedes aegypti to control some disease species.
23 And the ability to possibly look at using UAVs to
24 release those mosquitoes for us is going to be a huge
25 benefit.

1 So we're really excited for that and looking
2 forward to that. But, again, it's not anything too
3 soon. And, also, the use of using UAVs to augment
4 some of our aerial adulticiding treatments. I think
5 down the road -- we're not looking to start with that,
6 but I think down the road may be really beneficial.
7 You know, some of the -- I have Outer Islands on
8 there. We have several barrier islands that, you
9 know, using a plane to adulticide kind of may or may
10 not work. If you can kind of use a UAV, you may be
11 able to get a better efficacy rate just by the slower
12 speeds or lower elevation or whatever it may be.

13 So here I have some pictures of various
14 treatment sites and kind of explaining what I'm kind
15 of talking about when I'm mentioning my goals. The
16 picture in the top left corner that has sewer plant,
17 that's a picture of an area that we typically have to
18 treat. We end up treating it usually with like a
19 backpack treatment or handheld briquette of some kind.
20 Those three ponds in total are about a third of an
21 acre. So they're not very big. And it's not too bad.
22 And it's very easily accessible. So for us, if we
23 could, you know, maybe try treating that with a drone
24 or a UAV, that would probably be a good first step for
25 us. You know, small areas like that.

1 Just underneath it, we have the golf course
2 pond. It's about an acre. That one in particular
3 kind of stood out to me. We have this area that we
4 typically get mosquitoes coming from. It actually
5 affects a nearby trap so we can kind of watch the
6 numbers. But the -- it's kind of difficult to get to.
7 And what I mean by that is you can kind of get to half
8 of it. You can walk up to half of it and you can kind
9 of walk around it and you can find the (inaudible)
10 treat the entire pond, especially with the backpack
11 treatment. Sometimes you can't quite get the material
12 all the way back to the back side of the pond.

13 And you can kind of see the woodline there in
14 the picture, but it -- it's much more dense vegetation
15 than what it looks like. So being able to take a UAV
16 and maybe a granular application, for example, getting
17 above some of that vegetation and go right over top of
18 it, I think we'd get a very even coverage. I think
19 that'd be real beneficial.

20 Here on the picture on the right side, I have
21 -- this is a typical larvicide -- aerial larviciding
22 treatment area for us. This is about a 62-acre plot
23 of land, and you can see the green polygon that kind
24 of outlines it. This area, you know, we treat
25 routinely. This is a very high producer of aedes

1 taeniorhynchus, or salt marsh mosquito. And, like I
2 said, we spray this currently by air.

3 Now, that red polygon I have that's on the
4 southern end of it right up against that road, when we
5 spray this by air a lot of times that edge right there
6 doesn't quite get enough material in there to control
7 mosquitoes. There's actually a ditch there. And what
8 happens is when the helicopter is spraying it, it
9 turns on -- the spray system turns on and off
10 automatically so the pilots are not pressing a button,
11 per se. But the system, that little pause of it
12 turning on and off, a lot of times you just don't
13 quite get it in there. You don't get enough product
14 down. So what we'll end up having to do is come by
15 and treat it by truck or try to treat it by hand, and
16 it's kind of hit or miss.

17 You know, when I mentioned edge spraying in
18 some of our midterm goals, that's kind of what I'm
19 talking about. If we can actually take that polygon
20 -- the green polygon, the treatment area, and reduce
21 its size, bring that line up just a little bit and
22 then do one swath with the drone along the edge of
23 that, I think we'd probably be able to get pretty good
24 control because I think the material would fall down
25 in there, and I think it would actually be a more even

1 distribution.

2 This series of pictures is an idea of a --
3 kind of another midterm goal of ours. This may
4 actually augment our aerial larviciding applications
5 even more. This is a -- you can see the kind of
6 picture on the far left there. That's a good overview
7 of what I'm talking about.

8 This is an area that is kind of a funky
9 shaped polygon that's right between a road on the east
10 side and a set of beachfront condos on the way.
11 Again, this breeds aedes taeniorhynchus and it's a
12 very high breeder. It produces them all throughout
13 the summer months and it's affected by tide and rain.
14 And to spray it by helicopter, it's not exactly a
15 straight polygon box that you may think of when you
16 hear of us treating.

17 So this kind of curves along the roadway and
18 it's kind of a sensitive area. Right? So we have --
19 like I said, that road, the main road of the island,
20 and the people that are living or staying in those
21 beachfront condos don't necessarily want that
22 helicopter flying treetop level over top of them.

23 So for us if we could maybe kind of parcel
24 this up into separate little pieces and be able to
25 treat this with a UAV, probably a granular type, that

1 would probably solve a couple problems for us. So
2 we're kind of excited for getting our hands on
3 something and being able to use it in applications
4 like this to kind of help, like I said, augment some
5 of our aerial larviciding programs.

6 And with that, I'm going to actually go ahead
7 and transition over to Kevin Watts. He is the deputy
8 director of Lee County Hyacinth Control, and he's
9 actually going to go ahead and talk about some of the
10 possible benefits of UAVs for their program as well.

11 MR. WATTS: Thanks, Ed. I'm going to make
12 mine pretty short and sweet here.

13 MR. KEIGWIN: Hey, Kevin. Kevin?

14 MR. WATTS: Yes.

15 MR. KEIGWIN: Yeah. Thanks, Kevin. I was
16 going to just say we're coming up on our time and
17 we've got a public comment period at quarter of. So I
18 just wanted to focus you on the time.

19 MR. WATTS: I'll speed this thing up probably
20 within three or four minutes and then hop off. How's
21 that?

22 MR. KEIGWIN: Okay. Yeah, whatever you need.
23 But just wanted to focus you on the time. Thank you.

24 MR. WATTS: Okay. Just real quick, Lee
25 County Hyacinth Control District, we share the same

1 facility as Lee County Mosquito Control. We were
2 created in '61. We have the same board of
3 commissioners and the same executive director who's
4 actually here today, Dr. David Hoel.

5 I'm just going to click forward here. We're
6 in the early stages incorporating small drones
7 primarily just trying to figure out what we could
8 utilize as we move forward. I'm kind of pumping the
9 brakes here initially just because this technology is
10 moving pretty quick. And for aquatic herbicide
11 applications, you have to be quite cautious.

12 With that being said, one of the questions I
13 had was, you know, access to water bodies might
14 determine which license that you're required to use,
15 either the 107 or the -- you know, the 107 or the COA,
16 the COA. I currently have one employee that has his
17 107 and I have another one that's applying iCard test
18 sometime here in the next week or so.

19 We also are going to apply for a COA as well
20 because we'd like to incorporate that in our program
21 for the smaller drone to help us with better
22 assessment on aquatic plant species. We do what are
23 called biannual transects where we measure the plant
24 height and the water column beneath the water surface,
25 obviously, through bathymetry data. We'd like to be

1 able to also do that with drones while we're on the
2 boat so we can assess what's on the surface as well.
3 So we're slowly trying to migrate that into our
4 operational plan.

5 One of the things I was thinking about also
6 was trying to -- for us, when we put a boat in, we
7 always measure for, like, dissolved oxygen. We take
8 water samples. I thought maybe something could be in
9 the language for, you know, if you're operating or
10 using a -- you know, a UAV.

11 Another quick thing with factors concerning
12 incorporating the use of UAVs, the maximum height
13 restrictions, especially for aquatic herbicide
14 applications. We definitely want to be the lower the
15 better because we don't want to have any kind of an
16 adverse incident associated with drift.

17 So I'm just going to go ahead and switch over
18 to the next one real quick here. This would be a nice
19 conducive site. It's about a one-acre plot of land
20 with water hyacinth, which is an invasive species and
21 a host for mansonias mosquito species. Our topography
22 here doesn't have the undulation such as in other
23 places across the country. Coming in from the Gulf of
24 Mexico, the elevation increase only averages about a
25 foot in elevation for every mile. So we're relatively

1 flat as a pancake. This would be an excellent site
2 for utilizing a UAV.

3 This one here is a site called FGUA. It is a
4 series of settling ponds, about 35 acres. It's got
5 water lettuce and water hyacinth in there. We were
6 going to do an aerial application with helicopters,
7 but we didn't want to have nontarget damage,
8 especially on like the center row of canopy coverage
9 there.

10 Also, in this next slide where we brought in
11 the airboat, we had to crane lift it in because we
12 were unable to put in a boat ramp. It would be nice
13 to be able to utilize a drone. But another factor is
14 on the far right part of the screen there, those were
15 nesting sites for endangered Everglade snail kites.
16 And also there is an eagle nest in the proximity as
17 well. So using drones, I think that's a factor as
18 well when you're trying to also do applications when
19 you have those types of protected species.

20 And then just another real quick one. This
21 is my last quick slide here, just a cross comparison.
22 This particular site here, the one on the left is an
23 18-and-a-half acre water body. It's comprised of
24 water hyacinth, about 13 acres in there. What we did
25 was we flew a drone over there using one of these

1 latest programs for basically measuring plant health.
2 And as you can see indicating here, it helps us to
3 assess what has been damaged through actual
4 treatments.

5 And I don't know if you're able to see the
6 cursor as I move it, but you can see the path on the
7 top of the screen coming down right through the middle
8 of the water hyacinth is where we treated that area.
9 The other areas down towards the bottom were not
10 treated with actual herbicides. There were releases
11 of two different -- well, one species of biological
12 insect called a planthopper megamallice, which is
13 already starting to damage the plant as well. But it
14 helps us to assess our program and what the benefits
15 are with our applications and incorporating drone
16 usage.

17 I'm just going to switch over to the last
18 slide here and maybe let Ed touch on these last quick
19 points. But we just want to go over basically what
20 some of the challenges and questions were associated,
21 you know, with UAVs as we move forward. And having
22 the various agencies involved, the FAA, EPA, FDACS,
23 with what permits and licenses are going to be
24 required, and then what we need to have on the labels,
25 especially for versus the aerial applicators and UAV

1 applicators. That was a quick run for me. Thanks.

2 MR. KEIGWIN: All right. Thank you. And
3 then we are going to turn it over to Damon. I think
4 -- I just wanted to confirm, our list shows only one
5 public commenter at the 4:45 time. But I guess it
6 would be hard to confirm that.

7 UNIDENTIFIED MALE: We'll go with that.

8 MR. KEIGWIN: So we'll go with that. Yeah.
9 So what we're thinking about for the discussion is if
10 we don't have time today, we'll maybe carve off a
11 little bit of time tomorrow to have a discussion on
12 that. So with that, I'll kick it over to Damon.

13 MS. REABE: Well, I'll try to keep it short.
14 We're waiting for the slides to come up. Good. Now
15 we'll see if I can move them. So I'm going to just
16 preface all of my comments that these comments are in
17 regards to UAVs being used for aerial application of
18 pesticides on large egg use scales.

19 So I'm not referring to the use of UAVs where
20 they may be replacing something that's being done with
21 a backpack or with a person walking around with a
22 sprayer wand. And the reason why I've got this
23 background up here is to showcase that the market
24 that's producing these aircraft, the intent is
25 actually to get these products to full scale to be

1 used in large scale ways. And when we're thinking of
2 regulatory policies and an accounting for this
3 technology, we have to think about what it's going to
4 be like down the road.

5 So if we make rules and policies at this
6 point, we have to understand that eventually the
7 current largest UAV that I've seen is almost the size
8 of this entire table all the way around. Right? And
9 the aircraft, as they get larger, are going to have
10 other greater concerns and a lot of these benefits
11 that we're talking about actually aren't going to be
12 the case because of the actual physical size of the
13 aircraft relative to the size of the droplets that get
14 released.

15 Just a quick briefing on what manned aircraft
16 can do. When we talk about unmanned aircraft, we get
17 really caught up in the technology. And what gets
18 forgotten is that most of this technology is available
19 either currently on manned aircraft and has been for a
20 very long time, or is easily attached to manned
21 aircraft.

22 Because the vehicle is unmanned doesn't -- is
23 not what makes the spray -- the spray equipment
24 precise. It's the utilization of the GPS guidance.
25 It's the utilization of on-off control. These are

1 things that are currently and have been used in manned
2 aircraft for going on 30 years now. We just don't
3 come in and talk about the attachments that go onto
4 our aircraft in this manner.

5 So we have GPS guidance systems that run on
6 20 hertz. They're used by 99 percent of the industry.
7 Our work orders are -- everything is GIS mapped. We
8 can push and pull work orders through our GPS, back to
9 our offices, receive them in our aircraft through
10 cellular connections. We can do variable rate
11 applications. We can do constant rate applications.
12 We can do spot applications. We can perform
13 applications per prescription maps.

14 This technology has been developed many, many
15 years ago. We don't talk about it a lot because the
16 science behind taking, say, an NDVI image and turning
17 it into a pest control prescription map, simply that
18 science hasn't been perfected yet. In Wisconsin, if
19 you were to do research on pest management of, say,
20 spider mites and soybean aphids, in no part of the
21 University of Wisconsin's documentation did they talk
22 about how you would use an NDVI image to control those
23 pests and only spray those parts of the field.

24 So the concept of spraying parts of fields is
25 absolutely possible with the current manned aircraft

1 technology to the point where we have actual
2 individual nozzle control on the aircraft. We have
3 onboard weather measurement systems. We have robust
4 enough modeling to know where the chemical lands out
5 of each individual nozzle depending upon where it's
6 placed across the wingspan of the aircraft and know
7 where that product will land in that given wind. So
8 this -- the reason why this technology hasn't been
9 widely adopted by our industry is because there hasn't
10 been the demand for it.

11 I'm going to spend a fair amount of time on
12 spray drift risk assessments. I don't want to read
13 every single slide, you know, every bullet point here,
14 but ultimately when a registrant wants to get a
15 registration, the EPA has very specific protocol on
16 spray drift risk assessment. Right?

17 So that spray drift risk assessment is done
18 by the EPA with a model called egg drift. That egg
19 drift model was developed using the predictive
20 aerodynamic forces of either a fixed wing aircraft or
21 a single rotary wing helicopter. And those
22 predictions were then verified in extensive field
23 studies that were done by the spray drift task force.

24 The model was then further refined for
25 greater accuracy. The model was then subsequently --

1 went through extensive scientific review to again
2 further refine its accuracy, and it again is currently
3 used as part of the registration process. It's not
4 just for aerial application. This is also for ground
5 application and orchard air blast sprayers.

6 Next slide, please. So this is an example.
7 And we don't have a lot of time to spend on it, but
8 there's a library of aircraft within the model. Every
9 single commercially used aerial application vehicle is
10 in this library. We can make adjustments to the
11 nozzles. We can make adjustments to the boom height.
12 This flight line input was based upon the spray drift
13 task force findings. We can adjust wind speed,
14 whether it's a crosswind, we're going into the wind.
15 We can change humidity.

16 Next slide. Once we get into the aircraft
17 section, this is accounting for the aircraft weight,
18 the aircraft's wingspan, the actual speed that the
19 aircraft flies, what the RPM of the propeller is, the
20 propeller radius. All of these various inputs -- and
21 I don't want to explain every single one of them --
22 all of them affect the deposition of the pesticide
23 application. And it also affects the spray drift.

24 Next slide. On this particular slide, we can
25 see how the nozzle height can be changed. It can be

1 moved fore and aft relative to the wing. Again, an
2 extreme -- what I'm trying to point out here is this
3 is a very robust model that is used to predict
4 pesticide drift from an aircraft. Okay?

5 Next slide. So unfortunately what we don't
6 have for multi-rotored vehicles is any predictive
7 aerodynamic modeling available to us, nor do we have
8 anything available in this model to tell us where the
9 nozzles are placed relative to the not yet modeled
10 aerodynamics of these machines.

11 We have -- none of the field studies have
12 taken place to support the accuracy of this model that
13 actually hasn't been developed yet. So what that
14 means is the EPA is unable to do a spray drift risk
15 assessment.

16 Next slide. And this is an example of a
17 drone -- and I use this -- what you can see here is
18 the material that's coming out of this nozzle is
19 actually being curled and affected by this rotor. The
20 material that's coming out of this nozzle is being
21 curled and affected by this. And what we have is just
22 a giant amount of drift that's basically -- those are
23 the risky droplets. Other things we're not
24 considering. We've got in this case a nozzle that's
25 located within 75 percent of the rotor width, except

1 for when the material comes out of that nozzle and
2 fans out. By the time it gets to its final fan size,
3 it's more than, say, 90 percent of the rotor diameter.
4 That's an example of what hasn't been looked at and
5 why the existing label language does not account for
6 what happens when we use a multi-rotor vehicle for
7 this type of application.

8 Next slide. This is a very large vehicle.
9 It's hard to tell scale here. But this is
10 approximately -- just to give you an idea, that's
11 about -- approximately a 40-foot boom across the back
12 of this vehicle. It's a ducted fan machine. And
13 what's happening here, if you notice the material
14 being released on this side of the boom is coming
15 towards the center as well as this. Air is being
16 accelerated through this machine. It's creating a low
17 pressure area underneath the machine and it's drawing
18 the material from both edges to the center, which is a
19 good thing in regards to drift; a bad thing in regard
20 to efficacy. So yet a different design, different
21 multi-rotor design, having a great deal of impact on
22 deposition.

23 Next slide. So what does it mean? To me,
24 I'm having a hard time imagining if we can't perform a
25 spray drift risk assessment during the registration or

1 re-re-registration process of a pesticide, how that
2 application can actually be considered legal.

3 It's certainly -- the drift -- the pesticide
4 drift possibilities are absolutely unknown. One thing
5 I didn't mention is we're not even accounting for
6 techniques. These multi-rotor aircraft act extremely
7 different in forward flight through something called
8 effective translational lift versus when they're in
9 hover.

10 So are the applicators -- there's no training
11 for the applicator to figure this out. So when we're
12 making framework, it's very clear to me that the
13 process here is we need predictive modeling added to
14 the Ag drift library. We need those -- that modeling
15 to be confirmed, its accuracy through field studies
16 like what the spray drift task force did. And at that
17 point, we then can discover the techniques, nozzle
18 locations, all the appropriate safety measures that
19 then would become the label language that these
20 unmanned aerial vehicle users would follow.

21 Next slide. So next steps. I think I really
22 kind of hit on that. I think, you know, there needs
23 to be some direction to the state lead agencies. I
24 don't think that an unmanned aerial vehicle meets in
25 any way the spirit of the aerial application language.

1 And this work needs to be done before there's further
2 use of these tools.

3 And I think I've -- I think this is about
4 wrapping it up. Let's see, next slide. Last thing
5 I'll point out, we talked a little bit about mixing
6 and loading systems. We use closed loading systems.
7 We can load -- this is a great example. If we've got
8 a 250-acre treatment site that requires two gallons
9 per acre of treatment total volume, we fill the
10 airplane once. When we disconnect, any possible spill
11 happens at that disconnect point. A 5.9 gallon
12 payload UAV is 85 fills. And it just kind of helps
13 put it in perspective.

14 Regarding night operations, the industry
15 survey that just came out recently last year, aerial
16 applicators treated two million acres at night. We've
17 been doing this literally since the 1960s. Our issue
18 in -- for night applications primarily has to do with
19 the length of the night. We run out of available
20 timeline to accomplish the task.

21 So -- and I think that -- I have one more
22 slide. But really we've got a template for action
23 here. The process for registering a pesticide and
24 doing spray drift risk assessments doesn't change
25 because we have a new piece of technology available to

1 us. If we're doing an assessment to protect the
2 environment, workers and society, it needs to be done
3 no matter which vehicle is doing the application. And
4 I think we should be looking at exemptions for
5 extremely small areas like I mentioned in the
6 beginning when we talk about backpack sprayers. I
7 think a lot of what's been presented today on mosquito
8 work seems like just exceptional uses for this
9 technology. But, again, we need to be addressing I
10 think the bigger picture.

11 MR. MESSINA: Thank you, Damon, for -- and
12 everyone on this panel for your thoughtful comments.
13 With that, we'll have discussion tomorrow and we'll go
14 into our public session. I'll kick it over to Rick to
15 take over that.

16 MR. KEIGWIN: So Mr. William Jordan, please.

17 MR. MESSINA: And has anyone else signed
18 up?

19 (No response.)

20 MR. MESSINA: Okay. Thank you.

21 MR. JORDAN: Thank you for the opportunity to
22 make some comments. I have a few comments on each of
23 the first three sessions. My name is William Jordan
24 and I'm an independent environmental consultant. I'm
25 also affiliated with the Environmental Protection

1 Network. We are on the co-lead for the focus on
2 pesticide regulation by EPA.

3 The Environmental Protection Network, for
4 those of you who don't know, is a group of several
5 hundred public citizens who -- many of whom are like
6 me, former EPA employees who are interested in
7 preserving and extending the legacy of EPA's work over
8 the last 50 years.

9 So let me turn to session one, the discussion
10 of PRIA 4. And I'll start with the conversation about
11 the methods for assessing the effectiveness of worker
12 protection standard training programs and grant
13 efforts.

14 I think Rick Keigwin talked about the
15 interest that the Agency has in shifting from outputs
16 to outcomes. And in the long run, the purpose of
17 training is to teach the people involved with
18 pesticide application in the agricultural sector how
19 to do so safely and to avoid accidents. And outcomes
20 in this particular case means looking at whether
21 pesticide exposures have led people to become sick.

22 And the best information that EPA has on that
23 is the data collected through the SENSOR Program. And
24 so it seems to me really important for EPA to continue
25 to support, and if possible expand the scope of the

1 SENSOR data collection efforts.

2 Even if you're not able to expand SENSOR data
3 collection to additional states, I think it's
4 important to analyze the data that are collected --
5 are being collected through SENSOR. I attempted to
6 get information about pesticide poisoning frequencies
7 and characteristics in order to evaluate the proposal
8 that's now at OMB on the application exclusion zone.

9 And the latest data that I could find
10 predates the amendments to the worker protection
11 standards. So there are data out there that EPA could
12 be looking at to decide whether or not any changes to
13 the application exclusion zone provisions of the WPS
14 are necessary, and also to evaluate the impact of the
15 training program to see if, in fact, it's changing
16 behavior and making people safer.

17 In addition, Steve Schaible talked about a
18 couple of reports that are being created in OPP in
19 response to PRIA 4. Two in particular caught my
20 interest and I hope they'll be made publicly available
21 through EPA's websites. The reports on the overall
22 progress of the registration review program and also
23 the reports on ESA spending by OPP.

24 Shifting to the second session, the public
25 health workgroup's report, which I thought was

1 excellent. I wanted to follow up on two comments that
2 members of the PPDC made. Dr. Richard Gragg commented
3 that EPA should be working on emergency preparedness,
4 in particular connected with pesticide use.

5 To me, that makes a lot of sense. I think
6 that it's pretty foreseeable that in the case of
7 natural disasters, hurricanes, floods and that sort of
8 thing there may be needs for unexpected additional
9 pest control. What comes to mind in that regard is
10 the cholera outbreak in Haiti; also the greater
11 opportunity for mosquito-borne diseases in the wake of
12 hurricanes and floods.

13 And what I would encourage OPP to think about
14 is getting together with FEMA and the Department of
15 Homeland Security to consider with them how to factor
16 into their program for staging responses the potential
17 need for additional pest control programs.

18 Sharon Selvaggio talked about the future work
19 of this public health workgroup and suggested looking
20 at unplanned releases of pesticide spills and
21 accidents. I think that OPP has a potentially very
22 valuable role to play here. OPP has enormous
23 information about the toxicity of pesticides. It has
24 deep resources in risk assessment, and yet so far as I
25 know OPP does not preemptively or proactively plan for

1 risk assessments for people who may be responding to
2 those unplanned releases. People who are first
3 responders or people who are in the vicinity of where
4 one of these unplanned releases happens.

5 So I would encourage OPP to think about
6 working with your colleagues at the OSHA group that
7 sets permissible exposure limits and short-term
8 exposure limits to begin to develop those standards so
9 that they would be immediately available in case
10 something unplanned, unfortunate happens, like a spill
11 or an accident.

12 And then the last session that I'd like to
13 comment on is the hemp session. And I have a fair
14 number of thoughts on that point. The first one, and
15 I think probably one of the most important policy
16 decisions that OPP needs to make, is whether it is
17 willing to entertain the registration of pesticides
18 for use on hemp that would be considered nonfood uses.

19 And before I talk more specifically about
20 what I think might make sense in the context of hemp,
21 let me just acknowledge that OPP in the past has
22 looked at particular crops that have both industrial
23 uses and food uses. Corn, for example, is used to
24 make ethanol and it's also used for animal feed and
25 human food.

1 And in the past, OPP has tried to on occasion
2 segregate the use of pesticides on crops in a way that
3 would make sure that segments of these crops go to
4 uses ultimately that don't need tolerances.

5 Most of the time -- in fact, as far as I
6 know, all the time that has failed; sometimes fairly
7 spectacularly. And what comes to mind is the Starlink
8 experience. And I think that would probably make OPP
9 cautious about allowing registration of pesticides for
10 use on hemp without a tolerance. That would be
11 something that you all should be very cautious about
12 doing.

13 There are a couple of reasons, however, where
14 I think you might want to revisit that sort of policy
15 inclination with regard to hemp. First of all, from
16 what I heard today -- and I think it bears further
17 examination -- it appears that hemp products are
18 produced in different ways agriculturally,
19 agronomically. The expert described fiber, grain and
20 oil production practices as having very different
21 agronomic practices, treatment and handling. And so
22 that may, I think, justify different approaches
23 depending on which of those eventual end uses might be
24 intended for the hemp products.

25 And the second reason that I think it might

1 make sense to look at hemp and segregate the use
2 between nonfood and food uses is because of the
3 potential for state-level controls. And this is where
4 I think Liza Fleeson and her colleagues and other
5 state lead agencies may want to think about their role
6 in controlling the eventual uses of the hemp products.

7 At the state level, every hemp -- legal hemp
8 grower will be registered, licensed, and there will be
9 controls over the hemp products that are produced to
10 make sure that they are, in fact, legal; that they
11 don't contain more than .3 percent of THC. And as
12 part of that control process, states could, if they
13 wanted to, I believe, exert control over whether the
14 hemp products go into what might be considered food
15 supply versus whether they would go into nonfood uses
16 like clothing or rope or things like that.

17 And if the states consistently did engage in
18 that kind of oversight, it would seem to me that that
19 would make it possible for EPA to approve pesticides
20 for use on the hemp products even in the absence of
21 tolerances. So all of those things I think bear
22 further consideration in the course -- in the context
23 making. But I think it's a pretty important policy
24 judgment.

25 But even if EPA decides -- and I'm sure that

1 eventually people will want to have pesticides for use
2 on hemp that is eventually destined for food uses, I
3 think there are some important considerations. To my
4 mind, it's very valuable to start getting pesticides
5 approved for use on hemp. And one of the faster ways
6 it seems to me potentially to do that in the case of
7 food uses is to begin looking at crop groupings. And
8 Dan Kunkel has already mentioned the fact that IR-
9 4 sees, some potential surrogate crops that are
10 sufficiently similar to hemp that the data generated
11 on those surrogate crops may be representative or
12 informative of the residues that one might expect in
13 hemp.

14 To the extent that that's the case, trying to
15 move quickly toward getting hemp included in crop
16 groups would accelerate, I think, the process for
17 approving pesticides for use on hemp.

18 Most of the conversation this afternoon
19 focused on getting pesticides for the users. And I
20 think that's a great thing and I think that the users
21 will certainly appreciate that. But I don't want OPP
22 to ignore the potential environmental and public
23 health risks of approving new pesticide uses. And
24 there was just not a lot of conversation about that.
25 So I want to just quickly mention a few things that to

1 me are concerns that OPP ought to be looking at.

2 I want to start with worker exposure. The
3 agricultural re-entry task force database should be
4 examined to see whether there are scenarios in that
5 task force database that would represent the kinds of
6 worker activities that would go on in hemp production
7 in terms of fiber, grain and oil. My hunch is that
8 there really isn't anything quite like what is going
9 to go on. But you also should examine that closely to
10 become informed about how hemp will be grown.

11 In terms of consumer exposure, there's such a
12 wide range of potential products that can be made from
13 hemp that I think the consumer exposure challenges are
14 going to be very significant. Rubbing an oil that may
15 contain pesticide residues on one's skin is very
16 different from having -- handling a rope that may be
17 used to tie up a sailboat or something like that. And
18 people are talking about making clothing, so what
19 would that mean in terms of the people wearing that
20 clothing and their exposure.

21 There wasn't a lot of mention about
22 ecological effects, but to the extent that acreage
23 expands, paying attention to the effects on nontarget
24 wildlife, particularly endangered species, would be
25 something of concern.

1 Last thing I want to mention is what I see as
2 being some important links between hemp and marijuana.
3 There obviously is an attempt to distinguish between
4 legal hemp and illegal marijuana. But I think that
5 problem arises in the context of using pesticides on
6 growing plants.

7 When the plant is growing, it seems to me
8 it's going to be very hard to figure out whether the
9 dried material made from that plant is or is not going
10 to conform to the definition of legal hemp. And so I
11 hope that in your consideration of your policies about
12 registering pesticides, you'll think about how to
13 tackle that question.

14 I would encourage you to understand that
15 using pesticides on hemp will probably be the model in
16 states that have legalized growing marijuana for
17 medical use or recreational or adult use as to what
18 can or cannot be done safely, and that, in fact, the
19 cannabis plant may be, for all practical purposes,
20 indistinguishable whether it's for medical marijuana
21 or for legal hemp.

22 And finally I'd like to say that I hope
23 as you look at the Pruitt letter and the policy
24 with regard to special local needs that you'll
25 reconsider the role of the states. The states could

1 play a very helpful role in figuring out what these
2 problems are and getting ahead of the game. I don't
3 see any statutory bar or prohibition that would
4 prevent state legal -- state lead agencies from
5 issuing legal registrations for use on marijuana as
6 well as hemp.

7 And I think that ultimately that would
8 benefit the public interest in that it would provide
9 clear controls about how to use pesticides safely;
10 controls about using pesticide safely on marijuana;
11 would be a positive step because it would mean that
12 the workers would be protected, the consumers would be
13 protected, and the environment would be protected, all
14 of which are to my concern not being adequately
15 protected because of EPA's reluctance to step into
16 this area.

17 And folks who are growing marijuana for those
18 medical marijuana and adult-use markets are using
19 whatever they can find that works to deal
20 with the pests, and they're doing so without
21 necessarily having any good guidance about how to do
22 so safely.

23 So thank you for the opportunity to let me
24 comment, and I'm done.

25 MR. KEIGWIN: Thanks, Bill. So we're a

1 little bit over. So in the interest of you all having
2 spent all day here and probably needing a break, we're
3 going to end for today. But I did have a question for
4 everybody. So we never did get to have a discussion
5 about what we heard about UAVs. So I wanted to get
6 some input from you all on how we could restructure
7 tomorrow.

8 So we do have our new assistant administrator
9 joining us at 9:00. So that's -- that's pretty firm.
10 One option is to kind of reallocate the time a little
11 bit for the three topics after Alex that we have on
12 the agenda. Another option would be if we want to
13 start at 8:30 and have -- I'm already seeing grimaces.
14 So I understand completely. But that -- that would be
15 an option to pick up 30 minutes.

16 So the grimaces may have it already, but I'll
17 just kind of check with folks to see if there's a
18 preference. Oh, Jay is smiling. But thoughts? Any
19 hardship if we were to start at 8:30? Okay. So why
20 don't we start at 8:30 so that we can begin the
21 discussion. I suspect we'll have a very robust
22 discussion about UAVs. And when Alex comes we'll
23 break and we'll kind of see where we're at and then
24 we'll flow from there. Does that work?

25 All right. Thank you, everyone. Thanks.

1 Jay?

2 MR. VROOM: (Inaudible).

3 MR. KEIGWIN: We may. But --

4 MR. VROOM: Most of them were outside
5 presenters.

6 MR. KEIGWIN: Right.

7 MR. VROOM: (Inaudible).

8 MR. KEIGWIN: Right.

9 MR. VROOM: And Rose was represented, you
10 know, by Liza, too, a little bit. So I think we're
11 good. Great question, but I think we're good.

12 MR. KEIGWIN: All right. Thanks,
13 everybody. Have a good evening and we'll see you in
14 the morning.

15 (The meeting was adjourned and scheduled to
16 resume the following day, May 9, 2019.)

17

18

19

20

21

22

23

24

25