

UNITED STATES ENVIRONMENTAL PROTECTION AGENCY

11th CONFERENCE ON AIR QUALITY MODELING

THURSDAY, AUGUST 13, 2015

ENVIRONMENTAL PROTECTION AGENCY
RESEARCH TRIANGLE PARK, NORTH CAROLINA

8:30 a.m.

Kay McGovern & Associates

Suite 117, 314 West Millbrook Road • Raleigh, NC 27609-4380
(919) 870-1600 • FAX 870-1603 • (800) 255-7886

A G E N D A

Opening of the Public Hearing (Day 2)	George Bridgers, OAQPS	251
<u>Public Presentations and Comments</u>		
Virtual Facilities NAAQS Study	Beth Barfield, ERM for NAAQS Implementation Coalition	253
Outstanding Issues for Modeling Low-Level Emission Sources	David Heinold, AECOM for AF&PA and American Wood Council	259
Impacts of Measurement Uncertainty and Emissions Variability on Modeled Impacts	Zachery Emerson, NCASI for AF&PA	267
Use of EMVAP for Determining Permitted Emission Rates for Highly Variable Sources Related to Appendix W 8.2	Bob Paine, AECOM Carlos Szembek, ERM	277 281
Building Downwash: Problems, Solutions, and Next Generation	Ron Petersen, CPP, Inc.	287
Background Concentrations and the Need for a New System to Update AERMOD	Sergio Guerra, CPP, Inc.	296
The Use of CAMD Data in Air Quality Modeling	David Long, AEP	309
Initial Feedback on Proposed Revisions to Appendix W	Chris Rabideau, Chevron for API	317
Procedural Concerns Related to EPA's Regulations and Guidance on Air Quality Modeling	Cindy Langworthy Hunton & Williams for UARG	326

A G E N D A

(continued)

Is AERSCREEN Always Greater than AERMOD	George Schewe Trinity Consultants	335
Preliminary Appendix W Comments - Ozone	Jeff Bennett Barr Engineering	343
<u>Oral Comments</u>		
Bridget Lee, Sierra Club		352
Peter Guo, Apex TITAN		356
George Schewe, Trinity Consultants		358

1 F U R T H E R P R O C E E D I N G S 8:33 a.m.

2 Mr. Bridgers: So while everybody is taking
3 their seats, I'll go ahead and call the public hearing and
4 the conference back to order. I hope that everybody had a
5 pleasant evening. The weather last night was phenomenal. I
6 forget to mention before everybody broke for evening that
7 there was a meteor shower last night. I guess it is August.
8 I did get home late, but I didn't look up.

9 Nonetheless, thank you for coming back this
10 morning. I know we lost a few people but we have ten more
11 public presentations this morning, and I already know that we
12 have at least a couple of slide decks that have been
13 requested during the open forum session that will follow
14 right before lunch and then right after lunch.

15 So I did want to go through--this is just some
16 real quick logistics. Most of you that were here yesterday,
17 this is old hat, but I just wanted to reiterate that this
18 conference is a public hearing. It's a public hearing both
19 in the context of Section 320 of the Clean Air Act, which
20 requires us to have triennial modeling conferences but it's
21 also a public hearing with respect to the proposed rulemaking
22 for the guideline--for the revisions to the *Guideline on Air*
23 *Quality Model*.

24 So again, everyone that speaks today needs to
25 identify themselves and their affiliation. As such, I'm

1 George Bridgers with the Air Quality Modeling Group here at
2 the USEPA. Everything that is said is going to be
3 transcribed, and that will become part of the record and
4 submitted to the docket.

5 We will not allow any question and answering. And
6 anyone that has not requested a spot to speak, which will be
7 the first ten presentations, out the front door here Nan has
8 a sign-up sheet that you can put your name on, but I'll go
9 ahead and say that later in the after lunch period we'll have
10 a session that--not assigning myself to any religious
11 affiliation, but the Quakers, where if the spirit moves you,
12 you can come up and speak at the mic. All of our
13 presentations during the open forum, we will respect them the
14 same as we have our other speakers, and they will have up to
15 15 minutes, if they would like, to use that time.

16 After the conference, if you would like to
17 submit--I'm sure everybody that probably spoke will be
18 submitting final comments in writing to the docket. You
19 have--I think it's 74 days before we get to October 27.

20 We have a brisk schedule. It's not ridiculous,
21 but we're going to do like we did yesterday. Each speaker
22 again has 15 minutes and maybe a few seconds here or there,
23 but we need to keep people on track, and so I just ask for
24 everybody to be respectful.

25 And so we that, we'll actually be ahead of

1 schedule, and we'll go ahead and call Beth--is Beth here, she
2 is--to the podium. And while Beth is coming up, again, if
3 there are any questions or issues, find me and I will try to
4 resolve them. So without further ado, Beth, the forum is
5 yours. The podium is yours.

6 Ms. Barfield: My name is Beth Barfield. I'm
7 with Environmental Resources Management. We call it ERM.
8 Today I am speaking on behalf of the National Ambient Air
9 Quality Standards Implementation Coalition. Last afternoon
10 the last speaker was Rob Kaufmann, and he gave you the
11 comments that were more policy oriented than the ones that
12 I'll be presenting today are the more technical oriented, the
13 ones that we're talking about, the specific comments to the
14 proposed revisions.

15 Yesterday also Rob mentioned a song of Mighty
16 Mouse. And I was kind of surprised because we have further
17 at ERM shortened that acronym from NAAQS Implementation
18 Coalition to NIC. So I thought he was going to do Mickey
19 Mouse, you know, because we're N-I-C, and we're saying why.
20 We like to see the revisions, and that is really the theme of
21 my presentation. Before I went into my singing, I should
22 have asked how to do this. Do you do this? Okay. There we
23 go.

24 Okay. The study objectives that we had when we
25 were preparing even--not even comments, but recommendations

1 for what we would like to see for revisions for the Appendix
2 W, we looked at the challenges that the members of the NIC
3 were having when they were doing their air permitting and
4 their compliance demonstrations that were dependent on
5 dispersion modeling, and we wanted to identify the key
6 technical changes that we would like to see in the Appendix W
7 revisions.

8 The--NIC, see there, that's what we're calling
9 it--is comprised of various trade organizations and
10 individual member companies who were having these challenges
11 in demonstrating their compliance when they were doing their
12 permitting and even just regular ambient compliance modeling
13 that would be required by the states.

14 What we came up with, the three that I'm going to
15 focus on today, are the recommendations on how the background
16 concentration should be handled, also the suggestion that the
17 low wind beta options be changed to default instead of non-
18 default beta, and similarly, that the two refinements should
19 become default as opposed to non-default beta options.

20 What I'll do today is just present to you the
21 general approach that we took in preparing our study and then
22 how we develop the virtual sources and then the results that
23 we have that support the recommendations that we made.

24 This is really again not so much a list of things
25 that I would hope that you could read during this

1 presentation, but just to show you that there is a lot of
2 different guidance that has to be followed, and we would like
3 to see these things compiled in one Appendix W. It looks
4 like it's going to be.

5 We began with three hypothetical types of
6 facilities. One was a gas fired electrical generating unit--
7 these are combined cycle and simple cycle units--also then a
8 gas refinery and some industrial manufacturing, just to look
9 at three different types of facilities.

10 These were again virtual facilities. Nobody is
11 planning to build any of these. They were a compilation of
12 different units that are in different facilities throughout
13 the U.S. by the member companies. There was quite of a
14 negotiation process about what our facilities should look
15 like.

16 So here with the electric generating unit, as I
17 mentioned, we have both combined and simple cycle. And then
18 the refinery we have all the process heaters and flares. We
19 tried to make all of the facilities look like they were
20 very--generally well controlled, not brand new but existing
21 units; and then a manufacturing facility.

22 Similarly, we picked three different types of
23 location, ones with flat terrain, ones with complex terrain,
24 and one with rolling terrain. The reason that we took
25 specific locations is because we wanted to have actual

1 meteorology and ambient monitoring data that we could use in
2 our analysis.

3 And again, none of those sites are really being
4 considered. They were empty sites. We chose them as empty
5 because we didn't want the background concentrations to
6 include something that was already there that we were going
7 to be modeling on top of.

8 So there's our site in Louisiana. And you can see
9 the relative location of the site with the refinery, the
10 power plant, and the manufacturing location. And then here
11 is--the Montana site was our complex one. And in North
12 Carolina King's Mountain is out there.

13 The first comment that we wanted to make on the
14 changes that the EPA is proposing is from the 8.3.2 c.iii
15 that "For short-term standards, the diurnal or seasonal
16 patterns of the air quality monitoring data may differ
17 significantly from the patterns associated with the modeled
18 concentrations."

19 And we found out that this does occur frequently.
20 If you look at the table here, we have the averaging period
21 for PM_{2.5} and O₂ and SO₂. We presented the design value--and
22 this is for the North Carolina site--the design value if we
23 take just the annual numbers, and then also how when we
24 paired it with the modeling results, you can see that PM_{2.5}
25 didn't go down much, but NO₂ and SO₂ really made a

1 significant difference. And in our cases, it was the
2 difference between demonstrating attainment and not.

3 The next one is the modification to the AERMOD
4 system. This has been discussed earlier, yesterday, and that
5 was on changing the low wind from a default--to a default
6 from the non-default beta options. And in our cases, we
7 found that the North Carolina--or all the results changed
8 more significantly in the fugitive emissions than in the
9 cumulative impact, so I've put both of those here. You can
10 see the difference. And with the annual average, similarly
11 we see more of the results are significantly impacted with
12 the fugitive emissions, not so much with the whole
13 cumulative.

14 And I think, now, Bob talked too about the stacks
15 yesterday. And we found a similar difference between those.
16 And this is again using the low wind option 2. We haven't
17 done this with 3.

18 The third is how the treatment of nitrogen dioxide
19 would be in. In the preamble it was mentioned that the ARM2
20 would be replaced. And we had discussions yesterday about
21 this in more detail. Rich Hamel went through that. The
22 difference--now, what we had used was the .3 instead of the
23 .5. We haven't redone it for those numbers. And what we
24 would like to see is this to be changed also to default so
25 that we don't need to spend the time and the money coming up

1 with a site specific demonstration.

2 This is the differences that we found. You can
3 see I listed them all for North Carolina, Montana, and
4 Louisiana with the Tier 1, 2, and 3. You can see with the--
5 even with the Tier 2 ARM2 that there was a significant
6 reduction in the proposed--in, sorry, the calculated
7 concentrations.

8 So in summary, we would like to support the EPA's
9 revised changes on how background concentrations should be
10 determined. And by that we mean using the diurnal--seasonal
11 diurnal type of background calculations instead of a one
12 number design value.

13 And that's because, as we showed, that there is a
14 low likelihood between the time and the place that the--or
15 the time, I should say, that the monitored value would be
16 peaking and the model value would also be peaking.

17 We also support the designation of the low wind
18 speed options to default in both AERMET and in AERMOD. And
19 finally, we support also the change of the non-default beta
20 options for the NO_x refinements to default options. And I
21 will take questions offline at another time. Thank you for
22 your attention.

23 Mr. Bridgers: Thank you, Beth. We're zooming
24 right along. If David--is David--oh, David is here, yes.
25 All right, David.

1 Mr. Heinold: Good morning, everyone. My
2 name is David Heinold. I'm an air quality meteorologist with
3 AECOM. And I'm speaking on the behalf of the American Forest
4 & Paper Association and the American Wood Council.

5 This morning what I'd like to talk about are some
6 issues that are out there that have been out there kind of
7 forever for low level emission sources. When we mean low
8 level emission sources we mean things like fugitive dust,
9 emissions that are essentially non-buoyant from low rise
10 buildings that are very common to industry throughout the
11 U.S.

12 So one of the characteristics of these types of
13 sources that make them particularly problematical in terms of
14 modeling, well, location of these sources relative to what
15 are--have been considered historically off-site receptors is
16 often very close.

17 In other words, some of these are smaller
18 facilities that are--that are nearby fence lines so that if
19 you have emissions close to the ground, you could easily have
20 model concentrations that are disproportionately high in
21 reference to the annualized emissions from those sources. So
22 because of that modeling those sources and characterizing
23 them are extremely important. They are also many times
24 emitted in--among the flow obstacles like buildings and tanks
25 and piles and whatnot. Again it makes them characterizing

1 very important.

2 And more recently, because we now have tighter
3 NAAQS--that is the background concentrations are getting
4 perilously close to the ambient air quality standards,
5 especially for example for annual $PM_{2.5}$ --if we model them with
6 excessive conservatism, they're often likely to demonstrate a
7 model that's not in compliance when there really isn't an
8 issue, especially if there isn't an issue really where
9 legitimate off-site receptors should be located.

10 So based on that, there are essentially two issues
11 that I'm going to talk about today among all of these. The
12 first is the identification of what has been characteristi-
13 cally identified as fence line receptors as a standard way of
14 establishing what receptors should need to be modeled.

15 And the second is taking a look at issues that
16 have been brought up at previous modeling conferences
17 regarding PM_{10} and $PM_{2.5}$, and the rate that they are
18 transported off site and the physical dynamics that affect
19 those concentrations as they go off site.

20 So placement of near-field receptors; so the idea
21 that we're discussing here is in 2014 EPA came up with risk
22 assessment guidance that has been essentially long-standing
23 but clarified, and it talked about how to characterize
24 off-site risk, and in that they stated that one should be
25 evaluating exposure where exposure can actually occur,

1 essentially put in a nutshell.

2 And so if we take that concept and address it in
3 terms of the NAAQS, we should consider for the particular
4 NAAQS, say it's an annual average, can exposure occur for an
5 appreciable portion of that. Is it possible? And if it's
6 not, is that a legitimate receptor?

7 And for the short-term NAAQS, say the 24 hour $PM_{2.5}$
8 or the NO_2 or the SO_2 , one hour, could a person be at that
9 location 98 percent or more than 2 percent of the days for
10 $PM_{2.5}$? Could they be in that location more than 1 percent of
11 the days in terms of SO_2 ? If it's impossible for someone to
12 be in those locations, those should not be legitimate
13 receptors.

14 So the examples that we'll be talking about will
15 be things like railroad right-of-ways, controlled access
16 highways, public roadways, inaccessible terrain, perhaps
17 rivers with rapids where it would be difficult for someone to
18 be there located. And we're suggesting that this be
19 evaluated on a case by case basis.

20 So what we're now seeing is a hypothetical example
21 of a facility along a river that is--also has a restricted
22 access highway, say an interstate, to its north and to its
23 east it has a railroad property, a railroad right-of-way.
24 And what we display here with the yellow stars is what would
25 typically be the set of receptors that would be used for

1 modeling. And each of those red dots essentially indicate a
2 low level source of emissions so that one would expect
3 concentrations to decrease rapidly with distance.

4 So what we're showing here is a different way of
5 looking at the receptors depending on the particular NAAQS.
6 If we look on the river side, we have an annual PM_{2.5} NAAQS of
7 12 micrograms per cubic meter. And at the fenceline for this
8 hypothetical example, we had a concentration of 14 micrograms
9 per cubic meter, which is above the NAAQS and across the
10 river it's low, similar relief on the northbound side.

11 And the legitimacy of putting that on the other
12 side of the river is that is someone--could someone possibly
13 be on that river for an annual period. Now, if there was
14 a--if there--if boats were docked there along that river,
15 then clearly that would be a possible receptor, but for
16 instances where it's not a river that's really accessible or
17 used for that purpose, then it's not legitimate really to put
18 receptors along the river.

19 The limited access highway, we know there's laws
20 in place that don't allow people to loiter on the highway for
21 nearly a large part of 24 hours, so those receptors perhaps
22 should be on the north side of that. And even for the
23 railroad property, we know we're not supposed to be there at
24 all because you're going to be hit by trains and for walking
25 the tracks, there are other laws regarding--you know,

1 independent of the Clean Air Act or any other kind of
2 environmental act that prevents people from being there.

3 And we're not necessarily talking about relative
4 risk but just the fact that they're breaking the law being
5 there. And should that--is there any legitimacy to putting
6 receptors on the tracks, and we maintain that there is not
7 legitimacy.

8 So now I'd like to go to a different subject
9 matter, the second topic that we want to discuss, is that
10 fugitive dust studies have shown over the years there are
11 mechanisms when you have high concentrations of emissions
12 from a fugitive dust source, say like from a haul road, that
13 would affect the transport off site.

14 And what we're discussing here, not to go into
15 details, but this was previously discussed by Dr. Chatten
16 Cowherd at the EPA's 10th Modeling Conference, and
17 essentially there are three aspects of this that we want to
18 reiterate.

19 Number one, roadway dust from industrial sources
20 is different than standard highways in that you would have
21 individual sources that are moving along a line rather than a
22 whole string of vehicles that would actually represent a line
23 source, which is the way we model it in AERMOD.

24 And so there are refinements that could be applied
25 that account for that transient nature. And the indications

1 of previous studies have indicated that within the 100 meters
2 you could have a sizeable decrease in the modeled concen-
3 tration due to the lateral dispersion and the long wind
4 dispersion of a moving source.

5 And the two effects that affect off site transport
6 are the agglomeration of the particles when they're in very
7 high concentration so that the $PM_{2.5}$ will essentially stick
8 together and become PM_{10} and some of the PM_{10} size or the
9 coarse particles would agglomerate to some extent and get out
10 of the PM_{10} range. And that's been shown to have an effect
11 for very high concentration sources which are associated with
12 fugitive dust.

13 And if the sources--if there's buildings and
14 vegetation near the sources, it's also been shown that the
15 vegetation especially has a large effect on scavenging the
16 dust as it begins to move off site, and that can be a very
17 large effect. And the rate of scavenging is much greater
18 than it would be say estimated by just using the standard
19 deposition algorithms in ISC, which dates me--in AERMOD,
20 which uses the same methodology as ISC used, by the way.

21 Okay, so just some pictures of what we're looking
22 at in terms of intermittency. So on the left we see a
23 representation of a roadway segment and how it would be
24 modeled in AERMOD as a series of line sources. And here we
25 see that would represent something like the roadway we see

1 that's below it where you have, you know, a string of cars or
2 vehicles in a row so that a line source fairly represents it.

3 And on the right side we see something more like a
4 haul road in this case. It looks like some kind of a dirt
5 road in a rural area where you have very intermittent
6 traffic, and so it's really a traveling point source, so more
7 of the representations say that FAA uses in modeling aircraft
8 where it looks at individual moving sources might be more
9 appropriate than using a line source in AERMOD.

10 For the second effect, this is an illustration
11 of--we can see vehicles had traveled along these roadways and
12 we can see the residual dust and we can see the transport as
13 it approaches the vegetation. But we also can note that the
14 vegetation--there's the ability to scavenge out much of those
15 emissions. And if one has a roadway that is--where there's
16 quite a bit of vegetation surrounding it on one side or the
17 other, we should be able to account for that in the model so
18 we're not indicating off-site transport of the $PM_{2.5}$ and the
19 PM_{10} and account for that degradation.

20 So where are we now? Well, since the 10th
21 Modeling Conference, AISI and Dr. Cowherd have presented the
22 concepts to OAQPS and there have been further discussions at
23 annual workshops. And EPA has indicated at that time they
24 aren't really interested or think it's appropriate to
25 actually change the AERMOD because that's--in other words, if

1 we want to evaluate these effects we should look externally
2 to AERMOD to figure out how to perhaps characterize the
3 emissions in a more exact way that would account for these
4 types of effects. So an industry group is currently--
5 presently investigating the feasibility of incorporating
6 these concepts into refined modeling procedures for fugitive
7 dust sources.

8 So what's going on right now is we have current
9 activities to review the literature and the basis for these
10 theoretical studies and see what types of degradation factors
11 are appropriate. We're looking at the characterization of
12 the fugitive dust emission reduction factors, that is what
13 parameters are important to take into account in calculating
14 those factors, and then also developing a conceptual design
15 of how they could be implemented in AERMOD into either pre or
16 postprocesses that wouldn't affect the dispersion calculated
17 in AERMOD, but it would essentially accomplish a correction
18 to the emission rates that are being simulated.

19 So possible future activities, then, would be to
20 design and implement the algorithms, identify existing field
21 studies that might further support the use of the algorithms,
22 and if deemed necessary perhaps develop more field data.

23 So what are we talking about in terms of the
24 requests based on these types of effects? Well, essentially
25 we suggest that the Appendix W discussion regarding receptors

1 gives some--a lot of the users and regulatory authorities to
2 consider the potential for public presence either by physical
3 barriers or by other regulatory or laws that prevent exposure
4 in critical cases where the receptors should not legitimately
5 be placed, and perhaps at a minimum at least Appendix W
6 should provide some indication that local regulators in
7 regions should have the ability to kind of be free thinkers,
8 not be lockstepped.

9 As was noticed previously in the placement of
10 receptors by EPA when they said we don't want to use the
11 puzzle book anymore as the way to do things necessarily, we
12 would suggest the same thought process should go on in the
13 placement of near-field receptors.

14 We'd also suggest in the discussion in Appendix W
15 regarding fugitive dust emissions that, again, flexibility be
16 given to the characterization of the sources to account for
17 factors that are not addressed directly in the model such as
18 discussed here. And that is the end of my remarks. Thank
19 you.

20 Mr. Bridgers: Thank you, David. So next up
21 we have Zach from NCASI, and I'll let you announce all your
22 coauthors.

23 Mr. Emerson: Hi. I am Zach Emerson from the
24 National Council for Air and Stream Improvement for the pulp
25 and paper industry. We call ourselves NCASI. Coauthors on

1 this talk are Tim Hunt with AF&PA and Dave Heinold, who just
2 spoke.

3 I'm going to talk a bit today about what are some
4 of the impacts of data handling on modeled impacts. I'm not
5 a modeler. I work in emissions data and emissions measure-
6 ments. But what we see is that a lot of times as modelers
7 pick up an inventory or pick up emissions data, they don't
8 consider some of the underlying uncertainty that went into
9 that data when evaluating what the impacts are. So hopefully
10 what I'll talk about today can be useful going forward.

11 I'll talk about some measurement uncertainty and
12 what it is and what it means, and then a specific example of
13 measurement uncertainty due to measurements that are really
14 close to zero, really close to the detection limit. The
15 example I'll use will be PM_{2.5} emissions from paper machines,
16 and then we'll look at some of the modeled impacts of
17 different decisions on how that data is handled. I'll talk
18 for a second about emission variability at the end, but I
19 think the next speaker will hit that more.

20 So with measurement uncertainty, measurement--
21 obviously when you take a measurement, you've got some
22 uncertainty in what the actual number is. So if you look at
23 measurement at some arbitrary level here--we'll say that's at
24 the practical quantitation limit, PQL--it will have an
25 uncertainty that's that dotted line.

1 It's a Gaussian line really, and really the error
2 in that measurement is such that you've got 99 percent
3 certainty. If you've got a number at the PQL or a number--a
4 result at that number, you've got a 99 percent confidence
5 that it's under that curve. Each method will have its own
6 curve really, and really every test event will have its own
7 curve based on how confident you are in the result.

8 You can see as you move this curve closer and
9 closer to the blank level--in this case, we'll call the blank
10 level zero--then you'll reach a point where this curve will
11 overlap with the zero result. The point at which that curve
12 exactly hits zero, that's actually what the method detection
13 limit is. That's the point at which you have a 99 percent
14 confidence that your number is statistically different from
15 zero.

16 And this is really the minimum number at which you
17 even know that a pollutant is there. If you're doing a
18 measurement for PM and you're below the method detection
19 limit, then you have no confidence that PM is actually even
20 there.

21 The PQL is another statistically defined term.
22 That's the limit below which you have any confidence in that
23 value as a number. Values between the MDL and the PQL, you
24 know it's there or you have 99 percent confidence that the
25 material is there, but you don't have 99 percent confidence

1 in the actual number itself. You just know it's there. And
2 these are all kind of classically statistically defined.

3 So this matters when you've got low pollutant
4 level concentrations. You could see going back that there's
5 a spread in that curve, and if you're closer to the lower
6 level, then that spread--the spread is usually a constant
7 number, then it's a high percentage of your actual response.
8 So if the level is close to the detection limit, your
9 uncertainty may be 50 percent or higher of your actual
10 measurement.

11 So as I said, data below the MDL, you can't even
12 say that the pollutant is there. Now, when you're dealing
13 with PM, if you measure long enough, you'll probably measure
14 something. You can always get a number if you're measuring a
15 filter or measuring the goo at the bottom of the beaker.

16 So the example that we'll talk about are paper
17 machines. And these are processes that are usually located
18 inside of a building with a lot of different vents. The
19 vents have high flow rates with very, very low concen-
20 trations. They're also usually relatively low-- they're low
21 relative to boiler stacks, obviously. And they have a high
22 flow rate, low concentration. They're usually relatively
23 cold. So they can have a pretty high impact on the model
24 results.

25 Although this kind of analysis really has

1 applications for a lot of different kind of sources, a tank
2 farm or some other stuff, anything where the emissions levels
3 are thought to be low, and the actual emission source is low
4 or close to the fence line, then it'll--this will matter.

5 Here's some example test data. I hope that you
6 can tell from the colors. So the orange test data, these are
7 all measurements on different vents on a paper machine. In
8 this case, there's eight vents although the machine itself
9 probably had more, and they ran for a number of hours, and
10 this is the collected mass at the end of that run.

11 So the orange results are all cases where the
12 analyzed mass at the end of the run--this is $PM_{2.5}$. I didn't
13 say that. All the measured mass at the end of the run was
14 less than the method detection limit as defined by EPA. And
15 the other results are all cases where the mass was greater
16 than the detection limit, but still less than the PQL.

17 So you can see that for these examples there's one
18 that there's not a lot of mass collected at all and most of
19 it is less than the detection limit. This is also our--kind
20 of our response because a lot of times when we bring these
21 issues to a modeler, they say, well, get better data. Well,
22 these are cases where we went 8 hours, 4 hours, 16 hours on a
23 paper machine. And this is--it's pretty good data. We
24 just--there's nothing there.

25 So then when you roll all these results up--these

1 are all vents on a--say on a single paper machine. When you
2 roll all these results up, you'll get an emission factor for
3 the machine, which then you figure up what the emission rate
4 is. In this case, we'll look at tons per year. Let's see if
5 I can move that. Okay.

6 So in this case, we took the results from--this
7 says a small paper machine and a large paper machine. Really
8 that's a small--that's a machine at a small facility and
9 machines at a large facility. The large facility--this is
10 probably four machines here with an annual production or a
11 daily production rate of about 1800 tons per day of either
12 tissue or linerboard. The small facility would be about 400,
13 I think is the number.

14 So look at, in this case, this tissue and
15 linerboard. So I'll go ahead and direct you for the tissue
16 machine. If you--this is the impact of different data
17 handling procedures. If you look at the previous data on the
18 previous slide and everywhere that those result less than the
19 MDL and use the zero, the annual production rate--or annual
20 emission rate is $PM_{2.5}$ or 1.4 tons per year.

21 For--if you use at the measurement detection
22 level, which a lot of regulators will tell you would be what
23 you should do, you would get about 30 tons per year. If you
24 use the detected mass--that is, you use the actual number
25 that's here and that's probably your tester, that's probably

1 what they'll do if they give you the result--you'll get about
2 18 tons per year.

3 You can see there's a big spread in the difference
4 here for tissue. It's a lot more dramatic for tissue than
5 for linerboard, although it's still--this is a pretty big
6 difference. If you look between 2.4 and 3.6, that's still a
7 50 percent difference relative to the data handled with MDL
8 equal to zero.

9 Now, for the large machine, because really all
10 we've done is scaled up the emission--or scaled up the
11 emission rate based on the production, the impact is about
12 the same. You go from about 6 tons per year to 140 tons per
13 year for the machines at a large facility for a tissue mill.

14 So why does this matter? Okay. So for--a
15 facility, a paper mill, has a lot of different processes.
16 It's got the power to run the unit. It's got the processes
17 to make pulp, to reclaim the chemicals in the process, and
18 then to actually make the paper.

19 The actual emissions associated with--this is a--
20 these are for the tissue mill. To actually make the fiber or
21 to--I mean, excuse me, to make the tissue, it's about 8
22 percent of the total emissions for the facility with the
23 balance being 92. That comes from power, recovery, and other
24 processes.

25 When you put these into a model facility, and this

1 was done by Dave Heinold, because of the--one, because of
2 where the machines are and because they're low, then they can
3 have a pretty big impact on what the actual model results
4 are.

5 So the design value concentration--this is the
6 annual 2.5 impact--I've lost my cursor--due to the machines
7 is about 60 percent. So it's a big difference between 8 and
8 60. And one, this is due to the fact that these are usually
9 close to the fence line and they're pretty low.

10 So why does this matter? So we've got--these are
11 our model design concentrations for a variety of facilities,
12 large and small tissue and linerboard. The purple bars in
13 this graph are the rest of the facility. This is the fence
14 line impact for annual 2.5 due to the rest of the facility,
15 and then the bars--the blue, red, and green bars are the--due
16 to the paper machine--or due to tissue or paper machines
17 under different handling procedures.

18 So the blue bars, if you just took the MDL, used
19 it as zero, or took all the data that's less than the MDL and
20 used it as zero, you can see that there's a big difference
21 between the blue and the green bar. I'll point out that this
22 is--you go from about 1 to 20. That's bigger than the actual
23 standard. So your uncertainty in the impact is bigger than
24 the standard.

25 So even for a small tissue mill, the impact is

1 between less than 1 to about 2½. If you've only got 2 to
2 begin with between the background and the modeled impact,
3 then that will be important. And the linerboard, as I said,
4 is--the impact is smaller, although still significant.

5 Now, EPA released guidance in 2011--this was a
6 memo written by Westlin and Merrill--taking data from the
7 Boiler MACT exercise to figure out what the detection limits
8 are, and in that process outlined that you shouldn't use data
9 that's less than the MDL for anything, really for any
10 regulatory action, so we think it's appropriate to kind of
11 exclude it on this basis.

12 I'll talk just a second about emissions
13 variability. I think the next speaker will hit it more. I
14 just want to point out what emissions variability actually is
15 when you look at it. When you model at maximum concen-
16 tration--this is CEMS data. This is hourly SO₂ CEMS data for
17 recovery boilers. It's actually two recovery boilers ducted
18 to the same stack, so really the variability should smooth
19 out a little bit.

20 The permitted value for this stack is 800 pounds
21 per hour. So the max here that they ever saw was about 800
22 pounds per hour, but the mean was 80. The median was 7. So
23 you can see it's a big impact if you take that permitted
24 value. Even if you take the 99th percentile value, that's
25 still one and a half times--or the max is still one and a

1 half times the 99th percentile value. The 99th percentile
2 value is one and a half times the 95th percentile value.

3 So we think it's still very conservative and very
4 protective to use the 99th percentile or 95th percentile
5 emission rate instead of modeling permitted values. And
6 that's not modeling actual. That's still modeling a very
7 high rate relative to where they actually run, but it's just
8 a little more reasonable when you put that into the model.

9 So some of our conclusions, you can't ignore the
10 uncertainty and measurements. You can't take that number as
11 gospel and pass it forward when you're doing these modeling
12 exercises. As Bob said, the models themselves have an
13 uncertainty or assumed uncertainty of 10 to 40 percent, and
14 the measurements probably have at least that. And if you're
15 up against the standard, if you're one over the standard, you
16 really have no confidence that you're actually over or under
17 the standard.

18 So our recommendations are that the update to
19 Appendix W should include some guidance on how to handle data
20 or the AERMOD implementation guidance should include that,
21 and the guidance should provide some flexibility to
22 regulators and the modelers in how they handle these data,
23 especially for measurements that are really low. We think
24 that those measurements should be excluded under previous EPA
25 guidance; and also some guidance on how to handle sources

1 that are either intermittent or highly variable. And that's
2 all I've got.

3 Mr. Bridgers: Thanks, Zach. To that end,
4 yesterday, I was always wondering why we were running ahead
5 of schedule. A few of you heard me make the joke that it was
6 because we weren't having Q and A. That was the odd thing.
7 We always have that.

8 But the other thing that was oddly different
9 yesterday is there was no clapping. So that was also just
10 unusual; I guess formal public hearing, or at least all the
11 public hearings I go to are pretty drab. No offense to any
12 of the speakers, especially the EPA speakers from yesterday
13 morning.

14 Okay. Bob, are you really on the schedule again?
15 Is Carlos--are you presenting or is Carlos presenting?

16 Mr. Paine: We're both presenting.

17 Mr. Bridgers: A tag team; okay, awesome.

18 Mr. Paine: Tag team.

19 Mr. Bridgers: So AECOM is going to offer some
20 comments.

21 Mr. Paine: And ERM.

22 Mr. Bridgers: And ERM, excuse me.

23 Mr. Paine: Okay. I'm back, Robert Paine
24 from AECOM, but I'm going to have Carlos do most of the talk.
25 I'm going to--we're going to talk about EMVAP, the Emissions

1 Variability Processor, and an application, sort of a hypo-
2 thetical application of that tool, basically what this slide
3 says.

4 Especially with very short term ambient standards,
5 the issue of very short term emission rates comes into play,
6 and that's what sort of made us design this tool because we
7 foresaw this issue back even before the 2010 ambient
8 standards were promulgated.

9 So intermittent sources do present modeling
10 challenges, and obviously if you assume a peak emission rate
11 all the time, we know that you will overpredict the concen-
12 trations of a model. Now, the Technical Assistance Document
13 for modeling does provide that for existing sources actual
14 emission rates should be modeled.

15 And that reminds me that in the proposal for
16 modeling off-site sources, there are three factors in the
17 proposal, and only one of them has been changed from
18 allowable to actual. They all should be made actual. There
19 should not be the word "allowable" in that table for
20 background sources. So that should be fixed in the final
21 proposal, or in the final rulemaking.

22 But now let's go back to EMVAP. We're going to
23 show how an actual distribution of emission rates can be
24 turned into a way to model the variability of emissions in a
25 model. Here's an example of a time series or 8760 hours of

1 an emission source. And you can see that the emissions can
2 go up to over 130 grams per second on this graph.

3 We turn that into a cumulative frequency
4 distribution in the next graph, and this is what we use as a
5 tool to provide input to our model because we basically put
6 on several boxes, each with a discrete amount of frequency.
7 What you can do then is you can model each of those boxes
8 separately in a model and put them on a shelf, put them on--
9 and then access those concentrations in a random number
10 generator processor called EMVAP.

11 So the basic--the basic approach is to
12 characterize this emission variability based on actual data
13 or data from a similar facility and then use that as a tool
14 to select the concentration in your processor. And notice
15 these boxes are such that there's room on top of these
16 individual bars so there's some conservatism in the EMVAP
17 processor, also the fact that we--if we randomly select the
18 high emissions.

19 Usually high emissions are clustered, and with the
20 form of the standard being, you know, the highest hour of a
21 day, we tend to spread out those high days--those high hours
22 over several days in the EMVAP processor. So the
23 conservatism was both in the characterization of the empty
24 space above those emissions in each box and also the
25 clustering.

1 So EMVAP is--you may have heard from other
2 presentations is a Monte Carlo model that randomly takes
3 those boxes after you run the model for each of those
4 categories and puts the other simulated annualizations of the
5 emission--of the concentrations at all the receptors you'd
6 want to model and then applies the appropriate summary
7 statistics for the one hour SO₂ or NO₂ standards. You can
8 also take sources that do not vary as separate runs of AERMOD
9 and add those together in EMVAP.

10 You can also--let's go back to this slide on
11 the--if you model the actual emissions and then you compare
12 the results to modeling EMVAP, you can determine what is the
13 percentile of all of your results that would be conservative.
14 And it turns out that the 50th percentile is often satisfying
15 that requirement.

16 So for example if you ran 1,000 simulations,
17 annual simulations, you might get a maximum daily one hour
18 result that varies according to this simulation up to 1,000.
19 If you then do a cumulative distribution, we often find that
20 the 50th percentile is conservative relative to modeling
21 actual hourly emissions, and that would be the result you
22 would pick from the EMVAP simulation to determine the design
23 concentration.

24 The available information on EMVAP is freely
25 available from the EPRI web site. We've seen this link in

1 several applications. You can also get SCICHEM for example
2 from this or the distance debug AERMOD model. We presented
3 this last year in much more detail at the modeling workshop,
4 and there are peer reviewed journal articles available in the
5 December 2014 issues of both the *Environmental Manager* and
6 the *Journal*. I'm going to then provide Carlos for the rest
7 of this presentation.

8 Mr. Szembek: Hello. I am Carlos Szembek.
9 I'm with ERM in the Boston office. And so I'm going to sort
10 of talk about a different, an alternative, way of using EMVAP
11 from this article that was discussed in the *Journal* for using
12 the--for using permitted emission rates to achieve a permit.

13 So just a little history. In the past, EPA
14 guidance has been to have--if you have an averaging time for
15 an emission rate, it should be the same as the averaging time
16 of the applicable NAAQS that you're applying it to. Hence
17 the initial approach with the one hour standard was to--for
18 an emission rate that would be also one hour.

19 It was put forward by EPA to have this idea of a
20 critical value, and this critical value would be an hourly
21 emission rate that would be--that would show attainment with
22 the NAAQS. But there is a complication in all of this. We
23 have--how do you actually use a one hour emission rate that
24 would actually handle emission--highly variable emission
25 rates?

1 So there were some caveats placed. And EPA
2 expected it's possible for the states to develop control
3 strategies that would account for the variability in one hour
4 emission rates. And what was put forth was that this could
5 be accomplished by actually having averaging times that are
6 longer than one hour but still demonstrate the attainment of
7 the one hour NAAQS.

8 Okay. So I'll read some of these. EPA expects
9 that any emission limits with an averaging time longer than
10 one hour might need to be less than the critical value to
11 compensate for the loss of stringency inherent in applying
12 the longer term averaging limit.

13 In terms of variability becoming zero, so constant
14 emissions, the long term average would exceed--would equal
15 the critical value.

16 If the frequent emissions above the critical value
17 are sufficiently sporadic, they will have little effect on
18 the longer term compliant emission rate.

19 But there's still a challenge, so how to demon-
20 strate that with an hourly emission variability the longer
21 term emission rate is still protective of the NAAQS.

22 EPA has this example for dealing with that. So it
23 seems the variable patterns after the control measures would
24 still be the same. You would first actually calculate what
25 that critical value was, so in this example, 600 pounds per

1 hour.

2 You would then analyze your emission distribution
3 and find the 99th percentile of your one hour emissions, in
4 this case 800 pounds per hour. You would then obtain the
5 percentage of the--it should be 30 day rolling average
6 emission rates, and it would be 720 pounds per hour.

7 You would then find the ratio of those two
8 numbers, in this case .9, and multiply--use that to scale the
9 critical value to 540 pounds per hour, and that would be a 30
10 day rolling average limit.

11 So EMVAP--the EMVAP approach is an alternative to
12 this EPA approach that actually provides additional
13 confidence in protecting the NAAQS because it actually is a
14 modeling demonstration and it encompasses by design the
15 emission variability.

16 So here I'm going to discuss quickly the stepped
17 process of how to apply EMVAP. Some of these I'll actually
18 go through rather quickly and you can kind of review the
19 nuances in the slides later. So--but it's a four step
20 process.

21 So first you would actually find the critical
22 value. Then you would--you would analyze your facility's
23 emission distribution that will be used in EMVAP and then run
24 AERMOD to generate inputs into EMVAP, and then finally you're
25 ready to run EMVAP to find out what your compliant emission

1 rate would be.

2 Okay. So I'm not going to run through all the
3 details here, but this is one way of obtaining the critical
4 value, so this would be a straightforward AERMOD run with a
5 constant emission rate that would show compliance with the
6 NAAQS.

7 Then you would look at your emission variability.
8 So in this case, you know, you can see it's a highly variable
9 emission rate. And, you know, here we've marked the long
10 term average of 97.7 grams per second. And it's worth noting
11 that here actually the peak emission rate is more than twice
12 the long term average.

13 You would then--as Bob showed, you would organize
14 those in a cumulative distribution. And here we actually did
15 more gate points to establish the bins that would be run on
16 these boxed emissions. We've also marked where the critical
17 value is in relation to these emission rates.

18 Then step 3, and you would actually now take each
19 of those bins that were generated here and have a separate
20 AERMOD run that you would then run at just 1 gram per second
21 and would later be scaled up in EMVAP.

22 And then run--here you would be running EMVAP in a
23 default mode--there was a critical value mode, but in this
24 case you'd be running it in default mode, and using that
25 distribution of the boxed bins. And as long as you can--the

1 main issue here is you're confirming that the results at the
2 50th percentile are in compliance with the NAAQS. You can
3 then proceed.

4 And you'll note here that EMVAP adjusts the
5 emissions, that if it didn't work, you would actually have to
6 adjust your emissions downward until you showed compliance,
7 so it sometimes can be an iterative process. For this
8 example, we're assuming that the run actually did show
9 compliance at the 50th percentile.

10 So what we're showing here is that the long term
11 average is just sort of noted here to show that it's actually
12 below the critical value that was found. And one thing to
13 note is that what we're--what we're, you know, highlighting
14 here that there are only three bins that are at or above the
15 critical value. These will actually be--you'll go forward
16 and using those for the permit language.

17 So to kind of generate this coupled short term
18 limit for a hypothetical source, and I'll kind of just read
19 through this, with a critical value emission rate of 120
20 grams per second, suppose the bins at or above 120 grams per
21 second as shown were 200 grams per second with a 5 percent
22 bin width--and so you can see that. That's the tall, slender
23 one. Then we have--the next bin is 150 grams per second at
24 10 percent bin width. And then the third is at 120 grams per
25 second, which is our critical value, and that's also at 10

1 percent bin width.

2 So the remaining lower emission bins have emission
3 rates below the critical values. These actually tend not to
4 drive the main exceedances of the NAAQS. And as you see, as
5 Bob had noted also, you know, again there's conservatism, so
6 there's a lot of area above the curve captured by these bins.

7 So for this case the permit language would be as
8 follows. The hourly emission rate will never exceed 200
9 grams per second. The hourly emission rate will be at or
10 above--or at or below 150 grams per second for at least 95
11 percent of the hours in the long term period. The hourly
12 emission rate will be at or below 120 grams per second for at
13 least 85 percent of the hours in the long term period.

14 All right. So the overall conclusions, the two--
15 the second and third are main take-aways--SO₂ and NO₂ one
16 hour NAAQS are probabilistic, so EMVAP is consistent with
17 that approach. It's a probabilistic model. EMVAP can be
18 used with an emission distribution with a rigorous modeling
19 approach to demonstrate that a coupled short term limit would
20 be protective of a one hour NAAQS standard. And again,
21 here's the source for EMVAP, and our contact information--
22 four, three, two, one. Okay.

23 Mr. Bridgers: Well played. So we have two
24 more presentations before our first break in the morning.
25 Both of these are by CPP, and first up is Ron Petersen here.

1 And I hope this works, Ron.

2 Dr. Petersen: Good morning; Ron Petersen,
3 CPP. I'm going to talk about building downwash, some
4 problems, solutions, and what I perceive as maybe the next
5 generation downwash model.

6 Basically, why is this important? Well, let's
7 look at--we've got, you know, the needs of society, the
8 environment, industry, and really to have all these needs,
9 stakeholders, reach the best decisions, you need an accurate
10 model. It's someplace in the middle. You want it to be the
11 most accurate so you can make the best decisions.

12 And kind of an overview of some of the problems
13 with building downwash right now, the theory is based on
14 research done before 2000, basically. The original research
15 used a limited number of solid building shapes.

16 Schulman and Petersen at the 10th Modeling
17 Conference presented some information illustrating some of
18 the problems with certain types of buildings, long and wide
19 buildings. The theory is not suitable for porous,
20 streamlined, wide or elongated structures.

21 CPP's evaluation recently has identified some
22 problems in the theory. And there's also some recent and
23 past model comparisons with observations that show problems
24 in the downwash arena.

25 So some examples here of these problems from the

1 10th Modeling Conference, and Lloyd Schulman presented a very
2 interesting talk at that conference, and you can't really see
3 the charts from that, but in summary what he found that for
4 wide buildings he got factors of 3 to 14 increases due to
5 building downwash when the width of the building was four
6 times the height. For long buildings, he had concentration
7 increases of 4 to 10 when the length was four times the
8 height, and that was at GEP stack. So you were getting
9 significant concentration increases. He also mentioned an
10 ALCOA field study where the model was overpredicting by about
11 a factor of 10 for a very long, big building.

12 More recently Keith Baugues at IDEM showed some
13 results where AERMOD was overpredicting by a factor of 2, and
14 also when paired in space and time very poor correlation with
15 field observations. And again, these were relatively tall
16 stacks compared to the building, so could we have a building
17 downwash problem going on here?

18 A while back AECOM had a field study where they
19 measured concentrations on a nearby high-rise, and the model
20 was overpredicting by about a factor of 10. And when
21 equivalent building dimensions were used in place of BPIP
22 inputs, the concentrations still were higher by a factor of
23 4. When you actually ran with no building inputs, the model
24 still overpredicted by a factor of 2, which suggests really
25 in this case the plume was probably escaping the building

1 downwash zone entirely, so due to the plume rise.

2 So, you know, I kind of was thinking what's
3 causing some of these problems. So I got to digging into the
4 theory that's in the model formulation document written by
5 Schulman and Scire, and it's based on a technical paper, so
6 there really is no formulation document. It's a technical
7 paper.

8 So why is the model overpredicting? We've
9 got--one of the problems, we create these artificial
10 buildings. You can see the blue shape there. That's the
11 building in plan view. BPIP creates that gray building
12 that's much longer than the real building.

13 And so what happens, the wake starts growing much
14 further upwind. And the point that we're going to have the
15 maximum turbulence occurs much further downwind than the real
16 situation. So you're really having the wake being
17 characterized incorrectly in the model.

18 Some of the turbulence calculations in the wake
19 are flawed. And I'm not going to--I just have the equations
20 there for reference and documentation, but they're in the
21 paper. Basically what the model is assuming is that the
22 turbulence enhancement, or the building downwash increase, is
23 constant all the way up to the top of the wake. And that's
24 really an unrealistic assumption. And it's making an
25 assumption of uniform approach flow, constant wind field with

1 height.

2 This is kind of what we found here. The top slide
3 shows what's going on in PRIME. And you've got the wake
4 growing. You can see that white line. That's the calculated
5 wake height. And the enhanced turbulence doesn't start until
6 the lee end of the building where the red zone is. So the
7 maximum turbulence starts occurring right at the downwind
8 edge of the building, and it goes all the way up to the top
9 of the wake, which is the white line.

10 What we found in reality is that the enhanced
11 turbulence zone really doesn't go much above the top of the
12 building, and it decreases quickly back to ambient levels.
13 So this can explain why some of these taller stacks are
14 getting higher numbers. They shouldn't be really impacted
15 much by the high turbulence in the wake zone.

16 Another problem that we found in this area is that
17 under stable stratification the turbulence in the wake is
18 enhanced by a factor of 10, while under neutral conditions,
19 it's only enhanced by a factor of about 5.7, unstable by
20 about a factor of 3. And so that really is not--there's no
21 evidence supporting this relationship is a function of
22 stability. Everything that was done was done under neutral
23 conditions to develop the theory.

24 We did a little limited research on our own at
25 CPP, put in a building, a 1:1:2 building, which means it's

1 two times as long as its height and its width is the same as
2 its height. We measured the turbulence enhancement in this
3 plot. What you see here on the horizontal axis is the
4 turbulence increase is a function of distance downwind of the
5 building. You can see that black object there.

6 And the maximum turbulence enhancement you can see
7 is below the top of the building where that value of 1 is.
8 Above the top of the building you have very little turbulence
9 enhancement. It goes back to ambient very quickly, so kind
10 of supporting that little chart I showed you based on wind
11 tunnel measurements. And the decay of turbulence enhancement
12 is much quicker for this particular building than the theory.

13 We also did some large eddy simulation runs using
14 CFD. And--well, that should have been running, but--let's go
15 back to that. Yeah, you can see the blue there is the
16 velocity deficit zone in the wake of that building, and you
17 can see it kind of confirms the wind tunnel measurements.
18 It's the same building basically that we simulated in the
19 wind tunnel. And it shows most of the turbulence enhancement
20 or velocity deficit is occurring below the top of the
21 building.

22 So what are the problems we found in the downwash
23 model? The streamline calculation comparison that's in the
24 model formulation document--when we went through the
25 calculations the example showed the streamlines going

1 downward. When we actually followed the procedure in the
2 manual, we calculated they should all be going horizontal, so
3 there seems to be some problem in what's written in the
4 document, so I'm not really sure what the model is actually
5 doing for that case, but the example doesn't match what's in
6 the paper.

7 The second one is there's a discontinuity in the
8 streamlines right at the leading edge of the building. Right
9 there in that figure where you see the zero on the building
10 there's a discontinuity. Right at zero the slope is a factor
11 of 4, and immediately upwind of that is a factor of 2. So
12 there's a factor of 2 change in the trajectory of the plume
13 right at that point.

14 Another weakness is the streamlines for all
15 structures are calculated assuming the buildings are solid.
16 So like a lattice type structure where the flow goes through
17 it--you know, oil platforms, things like that--the flow will
18 more likely be horizontal. A real quick fix to that would be
19 to change the streamline calculation in the model to be
20 horizontal, and that would improve model performance
21 dramatically for that situation.

22 The top picture is a lattice structure. The
23 middle one, no structure, and you can see is very similar to
24 the lattice structure. And the bottom one is what it looks
25 like in AERMOD. It assumes a solid building.

1 So the solutions really to these problems--the
2 short term fix really is--one that's being used currently is
3 equivalent building dimensions where you do a wind tunnel
4 study to find the building dimension to input to get the
5 correct dispersion.

6 I should mention that even that is not fixing the
7 problem completely because, as you notice, there are some
8 theoretical problems, so even with the equivalent building
9 dimension you're going to tend to overestimate the
10 concentrations for the reasons I just went through.

11 So really the next generation is to develop an
12 improved AERMOD model, which actually--or which actually this
13 would be the PRIME algorithm, which also is in SCICHEM, and
14 you would have to do some modifications to BPIP too to make
15 everything work correctly.

16 To do this, you'd really need a collaboration
17 between EPA and industry to get this done in a quick manner,
18 and it's something that I really think should be done outside
19 of the current regulatory framework. It's just something
20 that should be done to improve the model. Current science--
21 as was mentioned earlier, we need to advance the state of the
22 science. That should be the goal of all us here.

23 The short term fix, as I mentioned, is equivalent
24 building dimensions. Those are fairly expensive, time
25 consuming, but that is a tool that can be used in the interim

1 to give better predictions.

2 If you find you have a problem--lattice
3 structures, long buildings--really the only fix right now is
4 equivalent building dimensions, because right now for these
5 types of structures--hyperbolic cooling towers let's say--the
6 model is overpredicting by a factor of 2 to 4, 4 to 8 for
7 short buildings with a large footprint, 2 to 3.5 for lattice
8 structures, and 2 to 5 for very long, narrow structures. So
9 currently the model has some significant overestimates going
10 that the only way to correct is through a wind tunnel
11 modeling study at the current time.

12 So of course why does--equivalent buildings don't
13 solve the problem, they do help a little bit, but why do they
14 help? You can see this picture here on the bottom is a very
15 long structure. You can see the high turbulence zone right
16 at the lee edge of the building, so a plume could hit and go
17 off that building, immediately hit that zone, be mixed with
18 the ground. That's kind of that yellow color in the picture.

19 The equivalent buildings we usually find are much
20 shorter, and so the wake height is much shorter, which means
21 when you put that into the model, even though you're still
22 intersecting the wake zone incorrectly, the concentrations
23 hit further downwind or lower. So it is an improvement, but
24 even if the model were fixed, you'd even get lower concen-
25 trations than using EBD.

1 Kind of just another picture, this is the BREEZE
2 downwash analyzer that we can kind of visualize what's going
3 on with the building. It kind of shows the building and then
4 the BPIP input, which is in blue, and you can see how much
5 bigger the building is.

6 Well, we ran that case in AERMOD just to see what
7 it looked like with this building and then with an equivalent
8 building, and here's kind of what the plumes look like close
9 in. You can see the real building, that blue line there is
10 the wake, top of the wake, and you can see the plume, 1
11 sigma-z, how much wider it is than with the equivalent
12 building, the top picture, because on the top picture the
13 plume is just slightly above the top of the wake, so you're
14 getting very little enhancement in the plume, further
15 illustrating what I was saying here how the model is
16 overestimating the enhanced dispersion downwind of the
17 building.

18 Of course, there are cases where the model is
19 underpredicting, so you really need to--you know, for a
20 sustainable type of situation, you want to cover everything.
21 You've got to make good decisions, bad, or--you know,
22 overpredictions, underpredictions, whatever. You've got to
23 go both ways.

24 The corner vortex is an issue where the model is
25 probably underestimating by a factor of 2. Upwind terrain

1 effects are not in the model either. And the model is
2 probably underestimating by a factor of 2 to 6 for that
3 situation. So these are all things that could be developed.
4 These latter two are probably more complex or are going to
5 take a little more research, but the ones that we talked
6 about first are pretty easy fixes.

7 So what do we do? Correct the bugs, fix the known
8 problems, incorporate the current state of the science. We
9 need to advance the state of the science, expand the types of
10 structures that can be accurately handled.

11 We really need a well documented and verified
12 model formulation document and code for PRIME, and a section
13 needs to go into Appendix W that we can update things quickly
14 and create collaboration with industry and EPA to kind of
15 move on this path forward to develop a more accurate building
16 downwash model. Thank you.

17 Mr. Bridgers: Thank you, Ron. And for our
18 last presentation before the break, we have Sergio.

19 Dr. Guerra: Thank you very much; Sergio
20 Guerra with CPP. In the last two presentations, we've seen
21 new understanding of the science, and it's very important for
22 us to figure out how we can incorporate that into the model
23 as soon as possible so that we can continue advancing the
24 science.

25 I'm going to be covering background concentrations

1 and the need for a new system to update AERMOD, so we're
2 going to go through what is in the guidance right now related
3 to background concentrations, an alternative approach, and
4 then going to Appendix W, what have we learned and what would
5 be a new method to go forward.

6 So going to the draft guidance, Section 8.3, there
7 are a few options that you can use to get your background
8 concentrations. You can--if you have a source that is
9 impacting the monitor, you can exclude the 90 degree downwind
10 sector from the source in question, and that was--that's in
11 the current guidance and it's also in the proposed.

12 The second one is a new one. You can modify the
13 ambient data record with monitor--when the monitor is
14 impacted by unusual events. I call them exceptional events,
15 but these are things like the Canadian forest fires, like
16 construction, things that are not reasonably controlled that
17 can be excluded for other purposes in designing concentration
18 calculations. You can do that by removing hourly or daily
19 data or you can do it by scaling or adjusting, basically
20 multiplying by a factor or adding or subtracting.

21 The guidance also talks about pairing monitoring
22 and modeled data on a temporal basis. You can do it by
23 season, by hour of day, and on rare occasions on like the
24 paired sums approach, on an hour by hour basis. And then the
25 fourth way is you can use a regional scale photochemical grid

1 model to give you the background that you can use.

2 The first one, the 90 degree downwind sector, this
3 is some peer reviewed research done by Doug Murray and
4 Michael Newman, and they did exactly that for the Kincaid
5 database for SO₂ and SF₆. And what you would expect is that
6 when your downwind--your receptors are downwind from the
7 source, you would exclude all those receptors and just take
8 the receptors around it.

9 In the case of SF₆ there is nothing else that
10 would contaminate those samples. However, we found--or what
11 was found in this research is that the 99th percentile for
12 example for SF₆ is 247, and then outside of the sector you
13 still have 188. So it's a good idea, but unfortunately it
14 does not work. Winds are not stable enough, and you do have
15 some impacts outside of that 90 degree sector downwind of
16 your source.

17 Excluding unusual events--I have to commend EPA.
18 I've been talking about this for a while, you know, that we
19 shouldn't be including exceptional events on the data set
20 that is used to calculate the background. And EPA kind of
21 responded to that by the draft guidance.

22 This is a satellite image from I think June 29 of
23 this year when all these forest fires were basically coming
24 down into the U.S. through Minnesota. In fact Minnesota had
25 a lot of--along with other states had a lot of health type of

1 events due to these forest fires. I was not in Minnesota at
2 the time, but even in Fort Collins we got the effects from
3 this plume. They say that you can run but you can't hide, so
4 that's what happens in some of these exceptional events.

5 But why do we care about these exceptional events?
6 We care about these exceptional events because they basically
7 make a normal distribution be skewed, be stretched to the
8 right like you can see here. And when you stretch that
9 distribution you basically pull with it all your percentiles.

10 So whereas your 98th percentile in normal
11 distribution might be 5 micrograms, when you have an excep-
12 tional event, that pulls the whole distribution to the right
13 and it may be 10 micrograms, 50 micrograms.

14 This is from a peer reviewed journal article that
15 I wrote for $PM_{2.5}$ showing that same trend. And as you can see
16 here, anything above maybe 20 is statistically an outlier.
17 For NO_2 I did the same thing and we see the same pattern.
18 And for SO_2 I guess that's the most dramatic where you have
19 very few observations that are really, really high, that are
20 really pulling that distribution to the right and making the
21 98th percentile, or the 99th in the case of SO_2 , be much
22 more--much higher than what it would be normally.

23 Another thing that you have to consider here is
24 that you need met data in order to address some of the--in
25 order to subtract those days that are impacted by exceptional

1 events or unusual events. But in many cases we do not have
2 that. We have a monitor, but we do not have met data or a
3 met station that is close by or representative. So an
4 alternative method is necessary when there's no met data
5 available.

6 Now, let's talk about temporal pairing. This is
7 the current Section 9.1, Model Accuracy, and it basically
8 says that models are more accurate for the annual standard
9 than for the one hour standard and that we are reasonable in
10 knowing the magnitude of the highest concentration, but we do
11 not know the exact time or the exact location of it.

12 This is absent from the guidance as far as I could
13 tell, and I think that if there's evidence to the contrary
14 that this is not true anymore, that evidence should be
15 released to the public. Otherwise, it should be included so
16 that we know basically what are the limitations of the model
17 and we can use the model correctly.

18 This is what a perfect model would do on an hour
19 by hour basis. You have one monitoring observation the first
20 hour, and if you have a receptor at that hour you compare the
21 two and if they give you the same number, it would create
22 this 45 degree angle, this 1 to 1. However, this is what we
23 find in real life. This is again the Gibson generating
24 station, a peer reviewed journal, Kali Frost.

25 And it's showing two things: first, that that is

1 not following that pattern, so basically there is no
2 relationship between the monitored concentrations and the
3 predicted concentrations. And the second thing is that--a
4 little bit more troublesome--is that when the monitor is
5 showing really high concentrations, the model is showing very
6 low and vice versa. So when we do pairings in time and
7 space, you have to keep this in mind, are you comparing the
8 right values or not, and according to this it's not the case.

9 This is the same article that I showed by Doug
10 Murray and Mike Newman, and it shows the same pattern for a
11 different station for the Kincaid database. And then they
12 took it a step further and said, well, let's just pair them
13 in time, basically any receptor. Let's try to see if any of
14 the receptors match with the monitors, and it just had like a
15 slight improvement, but obviously that pattern is not correct
16 like it should be.

17 So how do we evaluate AERMOD? Most of us are used
18 to seeing something like this. These are Q-Q plots. You
19 rank them from highest to lowest and you compare the highest
20 on the monitor with the highest with the model and then the
21 second highest with the second highest and something like
22 that.

23 So basically you compare them. You uncouple them
24 from time and space. And that's how we evaluate the model
25 because it's probabilistic also in that sense. We are

1 looking at the probability of having an exceedance somewhere
2 at some hour throughout your evaluation study and evaluation
3 time. So basically temporal matching is not justifiable
4 based on the information that I've seen, so it should be
5 avoided.

6 And just a word about the photochemical grid
7 model, it's something that--it's a complete different
8 scaling, complete different parameterization, different
9 assumptions, chemistry.

10 So we're not comparing apples to apples; it's like
11 apples to oranges, watermelons. They are very different, so
12 I think we should reconsider that, and even some of EPA
13 guidance says that we should take photochemical grid models
14 in a relative fashion, and you know, sort of remember we
15 looked at this at some point--well, let's use these data for
16 background. And we couldn't use it because it was way, way
17 higher than the standard itself. So I think this might not
18 be ready for prime time yet.

19 An alternative to pairing background and predicted
20 concentrations--if we look at the probability of these two
21 events happening, the 98th worst concentration from the model
22 happening at the same time as the 98th worst concentration
23 from your monitor, the probability is equal to the product of
24 both probabilities, in this case .02 times .02, as long as
25 both distributions are independent from each other.

1 And as I showed earlier, if we had something like
2 a 45 degree angle pattern to the data, we could say that
3 there is, but there really isn't. So in this case we had
4 .0004 probability or a 99.96 percentile combined probability
5 of those two events happening at the same time. This is
6 obviously more conservative than the model if you do it for
7 the 99th percentile, and it's also one exceedance every 27
8 years.

9 So I've been advocating for the 50th percentile.
10 I'm glad to hear that for EMVAP it's working as well. But
11 the 50th percentile is a good measure because it's not
12 heavily influenced by these exceptional events. It's more
13 toward the middle of the concentration and it's still
14 conservative because it's being pulled just like the other
15 percentiles. So when you look at that, the combined
16 distribution and the combined probability is even more
17 conservative than the form of the standard.

18 But now let's talk about the *Guideline on Air*
19 *Quality Models*. It was published in 1978 and its purpose was
20 to streamline and to create consistency across the country
21 and across industry, basically one model for everyone to use.
22 The critics back then said that the rigidity of the rules
23 would inhibit innovation and would render the *Guidance*
24 obsolete as technology and science advanced.

25 It was a very heated argument, from what I

1 understand. It was very controversial at the time. I was
2 not there. I was only 2, so I did not know enough about
3 dispersion modeling, but nonetheless there is a record of it.

4 So what I'm proposing is in line with what the APM
5 Committee has proposed, the establishment of a Technical
6 Review Advisory Committee, TRAC, with the ability to
7 evaluate, approve, and incorporate new methods without the
8 need to undergo a long and infrequent rulemaking process.

9 TRAC would be composed of the leading experts from
10 EPA, industry, and academia with one purpose, to evaluate new
11 dispersion modeling techniques and incorporate scientifically
12 valid methods to the regulatory model in an expedient manner.
13 The APM Committee from the Air and Waste Management
14 Association can provide a good framework for TRAC.

15 And why do we need to do this? Well, first of all
16 because of timing. Updates to the guidance require a long
17 and complicated rulemaking process. I mean it's taken us ten
18 years to come here again. Current system results in a
19 lengthy time gap between the proposal of new and advanced
20 techniques and their implementation for widespread use. And
21 again, the current mechanism does not allow for an expedient
22 update of the model to incorporate fixes that we are finding
23 like Dr. Petersen mentioned about downwash or new techniques.

24 Now, let's talk about the rulemaking process. To
25 keep up with the new methods and science, EPA was supposed to

1 update the guidance through the rulemaking process, basically
2 through the formal public comment. Instead it gave us--and
3 again, it's really hard because EPA has their plate full and
4 they have a lot of responsibilities on top of that, so this
5 is really stretching them to the limit.

6 So instead what EPA has done is issued nonbinding
7 guidance or technical assistance--technical assistance
8 documents without formal evaluation or public involvement.
9 However, as the courts have said, if you have a nonbinding
10 document that dictates what you have to do in order to get a
11 permit, for all practical purposes that document is binding.
12 So that's from the *Appalachian Power v. EPA*, D.C. Circuit,
13 2000.

14 But in reality--the court is another thing, you
15 know, but what we have really done is we have circumvented
16 the evaluation process that is supposed to go into the model,
17 and many times we make changes to the model with good
18 intentions that end up having very unfortunate type of
19 situations or results.

20 The other thing is we need to take action because
21 it might take ten years to update the guidance again, so we
22 need to do this right now. The science is constantly
23 evolving and we need to make sure that we promote the science
24 so that we can incorporate it and we can improve it every
25 time more and more.

1 And we need to recognize also that the current
2 system is not working. It's not working for EPA. It's not
3 working for industry. It's not working to protect the
4 environment. And all the stakeholders need to take charge of
5 this and be involved and collaborate because only by
6 collaboration can we do something. We cannot wait another
7 ten years to see what happens.

8 And then one of the main things is create
9 consistency. For example there are some beta options in
10 AERMOD, but at the same time there are many updates that have
11 been made to the model. AERMOD was updated 11 times,
12 AERSCREEN five times, AERMET six times, AERMAP three times,
13 AERMINUTE three times. AERSURFACE even got its update.
14 BPIP, like Dr. Petersen mentioned, hasn't been updated, but
15 we're working on that.

16 And then another thing is there have been updates
17 that have been enhancements like when we did not have a form
18 of the standard that the model could give you, that was a
19 very welcome enhancement. But there have been also bug fixes
20 that are necessary, but there have been miscellaneous changes
21 such as the change on calculating downwash above GEP stack
22 height, that whereas it is true that there is downwash at 40
23 percent, what Dr. Petersen showed is that the downwash is
24 being overstated, so there was not a proper evaluation to
25 identify this problem and now we've created another problem

1 by trying to fix a problem.

2 So basically it's not clear what changes can be
3 made by EPA and what changes need to wait until the rule-
4 making process. That's why we need something like the TRAC
5 that I'm promoting.

6 And basically the Technical Review Advisory
7 Committee would promote collaboration, share responsibility
8 among all the stakeholders, result in a more efficient
9 process and improve the timing of implementation of the
10 science into the model. And this will create consistency,
11 which is the goal of the model--of the Appendix W, excuse me.

12 So again, the APM Committee from the Air & Waste
13 would be the ideal framework because the major players are
14 part of it already, and as technology and science advance we
15 need to evolve with it and we need to make sure that we can
16 lead again, you know, because in this case we've seen models
17 like ADM like used in Europe that are basically having better
18 science than the one that we have here. So let's prove the
19 critics of 1978 wrong and let's update Appendix W so it can
20 work efficiently, as it was intended.

21 And in 30 seconds I have a summary of my comments.
22 I'll just say about the 90 degree downwind sector, that's not
23 solving the problem, unfortunately. Unusual events need to
24 be excluded from the monitoring data and we need to make sure
25 that we provide enough tools so that we can do that in an

1 efficient way.

2 The use of the 50th percentile that I've been
3 advocating for is one of those options that should be
4 considered. And then the statement about model accuracy for
5 long and short term averages should remain in the updated
6 guidance, and otherwise evidence should be provided that it's
7 no longer valid.

8 And the temporal matching is not justifiable
9 because AERMOD's accuracy is suspect on a temporal basis.
10 And background values from photochemical grid modeling should
11 be reconsidered until we know for sure that it's something
12 that is technically feasible.

13 And again, the main thing right now is we need to
14 form a Technical Review Advisory Committee with the ability
15 to evaluate and approve any changes to the model because
16 that's an urgent need at the time. Thank you very much.

17 Mr. Bridgers: Thank you, Sergio. So we have
18 reached the point of our first break. What I do want to
19 say--I'm not going to talk for five minutes to fill the time,
20 but what I am going to say, there's going to be some
21 changes--slight changes to the agenda right before lunch.

22 We have received two requests for additional
23 presentations that would be given, quote, during the oral
24 comments. And so I'm going to have those two presentations
25 right before lunch, and then we'll have the open forum

1 immediately following lunch, and so that's just shifting that
2 just a little bit. And that way for folks that happen to
3 need to leave at lunch for an airplane flight or whatnot,
4 they'll see all of the PowerPoint presentations that are
5 going to be given.

6 And so with that, it is 10:00. I'm going to
7 adjust the time, so we need to be back at 10:20. Thank you.

8 (A recess was taken from 10:02 a.m. to 10:20 a.m.)

9 Mr. Bridgers: So thank you for everybody
10 coming back after the break. We're going to jump right into
11 the presentations. Oh, just a real quick note. I know that
12 there are some in this room that are looking for rides to the
13 airport. And so there's a white drawing board over here that
14 the ride list is starting to form, so if there are extra
15 spots in cars that are going over to the airport, you know,
16 see if you might help some of your colleagues.

17 Next up we have David Long. And David, I'll let
18 you present your topic.

19 Mr. Long: Good morning. My name is David
20 Long. I am an engineer with the American Electric Power
21 Service Corporation, which is the technical services
22 organization for American Electric Power. And this morning
23 I'm going to talk about the use of data collected by the
24 Clean Air Markets Division, or CAMD for short, in its
25 application to air quality modeling. Under the one hour SO₂

1 standard, we're seeing a lot of this data source trying to be
2 used, and there are issues with this data simply because of
3 its design.

4 When the 1990 Clean Air Act amendments were
5 passed, EPA was told to develop a program for monitoring SO₂
6 and NO_x from the utility industry as part of what was known
7 as the--what's known as the Acid Rain Program. This data was
8 intended when it was put together as an accounting program
9 for the use and consumption of allowances that were assigned
10 to the various electric generating units. The data
11 management system is therefore set up to overstate emissions
12 if there's any errors in measurements.

13 And the regulations implementing this monitoring
14 program are found in 40 CFR Part 75. And they do go into a
15 great deal of detail on how the monitoring systems are to be
16 operated and what data is to be collected and reported.

17 Most of the data in CAMD is an hourly database,
18 which for an hourly program people look at it and say,
19 "Wonderful, we have hourly data." And the typical data
20 that's reported includes gross load on the generating unit,
21 typically in megawatts, but not all sources reported
22 megawatts; SO₂ emitted in both pounds per hour and ppm; NO_x
23 emitted in pounds per hour, pounds per million Btu and ppm;
24 stack flow rate in standard cubic feet per hour, and that's a
25 critical issue that it's standard cubic feet; a diluent gas,

1 CO₂ or O₂, so you're not always going to have CO₂ data, but
2 with some of the changes coming based on the Clean Power
3 Program, CO₂ probably will be added to the mandatory list;
4 and then a calculation of heat input in million Btu per hour.

5 Obviously with all the data that's been collected
6 over the past 20 plus years and reported, there's a massive
7 database out there, and it isn't overall terrible data. For
8 Part 75 purposes in fact it's very good data.

9 However, when we've tried to apply this to one
10 hour SO₂ where trying to get an accurate picture of the
11 emissions impacts on an hourly basis, the data have--we start
12 to find the shortcomings in the accounting program reporting.

13 One of the other problems we have is for modeling
14 to get the plume height correct, we need hourly temperatures
15 to temporally match up with the flow rates and to back those
16 standard cubic feet per hour values into actual cubic feet so
17 the velocities are correct.

18 Guess what we don't have to report? Temperature.
19 Even though the data is captured because we have to use it to
20 take the actual cubic feet that is typically measured by the
21 CEMS systems and converted into standard cubic feet, CAMD
22 doesn't require us to report temperatures at this time. In
23 order to get the modeling accurate, you need accurate
24 temperature data, so that's another shortcoming.

25 Another shortcoming, as I mentioned earlier, this

1 was set up as an accounting program. There are extensive
2 missing data substitution--invalid data substitution
3 protocols in Part 75. Basically you get a value every hour
4 regardless of whether the CEMS are working correctly or not,
5 and it may be substituted.

6 There are flags when data is substituted or even
7 when it isn't to tell you that this is actually what the CEMS
8 system read. When you go to CAMD and request an hourly data
9 set from them, you don't get the flags typically unless you
10 specifically ask for them.

11 So you're looking at this massive list of hourly
12 flows and hourly emissions, and how much of it's actually
13 what was measured and how much of it was actually substituted
14 and may be substituted using any number of different
15 protocols you can't tell just looking at the basic data set
16 CAMD issues. And to find some of that, you either have to
17 get into the flags themselves or go down to the sensor level
18 data that is actually reported.

19 Now, one of the things that also is included in
20 the CAMD data--and again, for accounting purposes, it's
21 what's called a bias adjustment factor. Bias adjustment
22 factors by their definition in Part 75 cannot go below 1.0.
23 And these are based on RATA tests on the CEMS systems that
24 are done annually or semiannually depending on the accuracy
25 determined during the most recent RATA.

1 If the monitor is reading below the actual value
2 and you flunk the calculation for bias, you then put in a
3 bias adjustment factor on the monitor data greater than 1.
4 If it goes the other way where the monitor is reading higher
5 than the test method, you don't go below 1. It stays at 1 so
6 you're again overstating emissions and consuming a few extra
7 allowances under the accounting rules that were set up. It
8 doesn't help us, though, a lot if we're trying to get
9 accurate representation of emissions from the unit.

10 Another issue that I've hit on several times
11 already, temperature data. We don't have that in the CAMD
12 data. One of the interesting parts is for units that use dry
13 control technologies, the temperatures vary much more wildly
14 than you set on wet scrubbed units, although you do see
15 temperature variations there too, and those can--and that can
16 affect the plume performance in the model.

17 Temperature for the modeling studies, you can
18 obtain it from several sources. One would be a state
19 permitting or an inventory database. However, the
20 temperature you get there is typically a single value and
21 it's based on full load operating conditions that don't
22 necessarily represent the hourly variation and unit
23 operation. So you have no guidance on how to adjust the flow
24 rates back from standard conditions to actual conditions
25 based on that data source.

1 You can also go back--and one of the things that
2 we've been doing with the data we've been putting together
3 for the various state agencies we've been working with is we
4 pull the sensor level data, where we do get the hourly values
5 that were used to adjust the actual measured flows back to
6 standard, and then we can bring them back up to the actual
7 flow rates and get a more accurate representation of the exit
8 velocities for the model. You know, obviously how you
9 recognize the temperature data can impact the exit velocity
10 and lead to improper dispersion if you don't get it right.

11 Flow calculations: now, here we see how the bias
12 adjustment factor comes into play. You know, the bias
13 adjustment factor is applied to the flow sensor data, not to
14 the temperature data, the flow sensor. So if the flow sensor
15 was determined to be reading low, it gets raised, and in this
16 case it's probably an appropriate increase. But if the
17 sensor is reading slightly high, it doesn't go down and that
18 can introduce some error into the calculations.

19 Emissions, and I do have a slight error in this
20 equation. I'm just showing a single application of the bias
21 adjustment factor, and it's actually applied to both the
22 value of the SO₂ concentration and to the flow individually,
23 not as a single factor on the emission.

24 So you can get into a situation where if you have
25 an error with--or I shouldn't say an error, but a bias

1 adjustment on both the flow and the SO₂, you can
2 significantly increase the emissions possibly in ways that
3 aren't completely realistic. And again, if there's
4 substituted data, it occurs at the sensor level, not at the
5 emissions level. And substitutions can be very interesting.

6 If you have just a limited amount of missing data,
7 typically the technique that is used is called hour
8 before/hour after, which if the unit is sitting there
9 operating in a stable mode, it's probably going to be a
10 pretty accurate estimator of what happened during the hour or
11 two of missing data. If the unit isn't stable because the
12 load is being shifted, it's hard to say how that would impact
13 you. But the impacts of an hour before/hour after are still
14 probably going to be relatively minor.

15 The other extreme of data substitution is what's
16 called the maximum potential concentration. And if you get
17 that value thrown in, it can send you all over the place.
18 And typically if you're just doing a real basic QA of the
19 data, and just looking at it, you can see these because
20 you'll get a--you'll be going along and all of a sudden you
21 get a very crazy number showing up in the data set.

22 Some of the good examples I've seen of this are
23 where you're going along with a unit sitting at a stable
24 condition with an FGD system running, no evidence of any
25 equipment problems, and the emission rate suddenly jumps from

1 .2 or .3 of a pound per million to 2 or 3 pounds per million
2 or higher. So, you know, that can just totally drive an air
3 quality model nuts when you throw that kind of a change into
4 it. And exit velocities can jump to two or three times the
5 design value of the stack and potentially go well into the
6 very high velocities that you just don't design a smokestack
7 for in most cases.

8 Hourly temperature data, you get into needing to
9 select the proper sensors to obtain reasonable temperatures.
10 If there's a problem with it, if you have too low of a
11 temperature, it will again affect the dispersion of the plume
12 and give unreasonable and incorrect results.

13 One other special case of data substitution, and
14 this is where you see--where we've seen a lot of the MPC data
15 show up, is in a start-up of a new stack when a wet scrubber
16 is started up on an existing facility. Yes, some of the data
17 is substituted using stack testing, which is a very good
18 source of data when you have it.

19 But you don't have that from the minute the units
20 are fired up in this case. It's some hours later, and you
21 may not see it continuously for the several weeks it takes to
22 get the CEMS systems up and running. So you end up with
23 substitution based on the old stacks, which are unscrubbed,
24 and it just is very crazy and you have to manually correct
25 all of that data.

1 You know, the recommendations we would offer at
2 this point is that the modeling group here at OAQPS should be
3 involved with CAMD as we move into the fall as they're
4 planning on revising the emissions data reporting program
5 that's used for the utilities to report data and to work with
6 them to try to include parameters that are needed to help
7 improve our ability to model using their data set, because
8 again, it's an hourly data set, and there are a lot of good
9 possibilities of what you can do with that data. Sometimes
10 it just takes a lot of work and quality assurance to make
11 sure that the data is something suitable for use in air
12 quality modeling.

13 And, you know, again, remember, this was set up as
14 an accounting program, not as a program to collect data for
15 air quality modeling. We're just using it for that. And we
16 have to keep that in mind as we work with the data and QA it
17 prior to it being included in an air quality model. Thank
18 you.

19 Mr. Bridgers: Thank you, David. Up next we
20 have Chris presenting for API. Chris?

21 Mr. Rabideau: Thanks, George. My name is
22 Chris Rabideau. I am with Chevron, but today I am speaking
23 as the chair of the American Petroleum Institute's Air
24 Modeling Group.

25 First of all, I just want to--we appreciate the

1 efforts done by EPA and the IWAQM3 group in developing the
2 proposal package. We know there's been a lot of work going
3 into that package. We also appreciate EPA's review and the
4 consideration of all the API sponsored research that have
5 gone into some of the improvements that are in the proposal
6 package as well.

7 I also want to acknowledge EPA for opening up the
8 annual modelers meetings to the stakeholders for at least,
9 you know, one day for the last couple of years. That's also,
10 I think, been very beneficial to some of the progress of the
11 projects that we've been working on.

12 Also, since we had to do these presentations a
13 couple of days ago to get them into George, obviously this is
14 based on our initial review and understanding, which, you
15 know, some has changed based on the presentations yesterday
16 and interpretations of what we were seeing. So obviously you
17 know we'll be following up with written comments. They'll be
18 a lot more detailed.

19 So today's comments are basically what we had--
20 what we saw at the beginning and at least what our
21 recommendations are. Obviously based on yesterday some of
22 these things are in there. We just want to make sure that--I
23 just want to clarify that at the beginning.

24 As we undertake the process to revise Appendix W--
25 and again, as many have said before, you know, this is ten

1 years in the making--you know, we need to consider a
2 structure that's more timely for the incorporation of the
3 model updates. We should not be delayed for several years on
4 model updates.

5 We know in the next year there's going to be some
6 new, more robust NO₂ evaluation databases. You know,
7 there's--two NO₂ studies being done right now that API has
8 been supporting will be WRAP NO₂ drill rigging and the PRCI
9 project that's going to be starting here very soon.

10 You know, these data sets are going to allow more
11 rigorous evaluation of these models. And, you know, these
12 data sets could also suggest that model refinements need to
13 be done. And we need to have the ability to timely
14 incorporate those technical advances.

15 And it has been suggested--you know, there's a
16 tier structure which I'll get into, and also a subject that
17 we had brought up at our last--API's comments at the last
18 modeling conference of a technical advisory panel.

19 Again, some of the lack of clarity has been
20 addressed with some of the presentations yesterday, but
21 basically--first of all, I also want to make sure we
22 understand that the low wind project that Bob Paine had
23 mentioned and that was mentioned in some of the EPA comments
24 was not just an API project. It was also supported by UARG,
25 so it was a joint low wind project as well.

1 But we support the adoption of the U* option.
2 Again, we understand the beta option, but the plan is to go to
3 a default option with the promulgation of Appendix W. We
4 still haven't evaluated LowWind3, but we plan to do so for our
5 written comments.

6 With respect to the NO₂ improvements, again, we
7 support the adoption of ARM2. Again, we appreciate API--or
8 EPA working with API in getting that--getting that into the
9 system. However, it's unclear as to what steps would be
10 required to allow the use of a lower in-stack ratio.

11 As we saw yesterday by Rich Hamel of ERM, you
12 know, only 4.5 percent of the in-stack ratios in the database
13 are greater than .5. So if an applicant has site specific
14 in-stack ratio that is less than .5, we're going to suggest
15 that adjustments should be allowed, you know, without the
16 need for additional approval or going through the modeling
17 clearinghouse. There should be--there should be a way to set
18 that up since, you know, 95 percent of what we think is going
19 to happen is going to be less than .5.

20 We support the classification of ARM2, OLM, and
21 PVMRM2. Again, I think the understanding there has been
22 clarified, but we haven't had time to evaluate PVMRM2 so we
23 plan to do so for our written comments.

24 Again, and I think these issues have been
25 addressed in a number of the presentations before mine, but,

1 you know, there are still some outstanding needs with AERMOD.
2 There's obviously the building downwash issue that's been
3 touched both on the long and narrow as well as the GEP height
4 issue, also on the background. And again I think some of
5 these things have been addressed and some of them have not
6 been.

7 Again, with modeling nearby we want to make sure
8 that the actuals are being used, not allowable. Also, we
9 think there should be some more flexibility in the use of
10 monitoring data to not just characterize the contribution
11 from nearby sources but also potentially in the place of
12 modeling. And then also we want to make sure the background
13 excludes anything that's impacted by exceptional events.

14 With respect to CALPUFF and long range transport,
15 again, I think we agree with some of the statements made that
16 I think EPA is underestimating the times when a long range
17 transport is going to be required. I think there still
18 is--there's still a need for a long range transport model.
19 We have a concern that there is no consensus on acceptable--
20 on an acceptable model, which we feel there probably will be
21 significant delays in permitting.

22 I think we've got a typo here. In the absence of
23 a preferred long--we're suggesting CALPUFF version 6.42 that
24 has the advanced chemistry, you know, should be allowed as a
25 refined screen model, again in some of the work that we have

1 done in the past on it, putting--improving the chemistry in
2 CALPUFF. So we'd like to see that potentially be used.

3 Again, also, if there is--I know there's been some
4 prior concerns with CALMET, so obviously WRF/MMIF can also be
5 used to be--to input into CALPUFF. So hopefully the use of
6 CALPUFF should not be an issue there.

7 With respect to the ozone and secondary PM_{2.5}, a
8 lot of unknowns. We know that there's going to be, you know,
9 further rulemaking on this. So with MERPs, you know, in
10 principle we think that's a reasonable approach. However, we
11 really can't comment on how it's--what the numbers are
12 because we haven't seen anything yet, so obviously there's a
13 lot more to come on that, so it's hard for us to access the
14 appropriateness of whatever, you know, this approach is going
15 to be, but in principle the idea of a MERP does sound like a
16 good idea.

17 With respect to the first tier, again, there's
18 questions about where is this--where does the data exist,
19 because obviously there's still some more guidance that needs
20 to come out with the proposal. There's still not a--I think
21 as somebody said yesterday, it's still--the story is still n
22 not complete yet. It's still out. So we still have a lot
23 more details that need to be--need to be addressed on this.

24 With respect to the second tier, again, what's
25 classified as only, you know, saying--being used in special

1 situations, which is an application of more sophisticated
2 chemical transport model, I think--again, I think this is
3 going to be used more frequently than EPA is presuming in the
4 proposal.

5 And I think obviously developing photochemical
6 grid model databases from scratch is costly and time
7 consuming. And again, that's--for the ones that are going to
8 need to do the permitting that's obviously an issue for us.

9 I think this was also mentioned yesterday. We
10 need consistencies in the regulatory modeling. For far-field
11 modeling, development of the common databases that have been
12 preevaluated and tested and could alleviate some of those
13 issues.

14 And I know that with this last bullet there's some
15 concern there that we're saying there may be--now, there's a
16 role for Lagrangian photochemical models using a range of
17 realistic background concentrations to identify potential
18 worst case ozone and secondary PM_{2.5} impacts. You know, some
19 could say to get a realistic background you need to run the
20 photochemical grid model, so why don't you just do the
21 photochemical grid model.

22 So maybe--what we're proposing is maybe like a
23 tier 1.5, somewhere in the middle, where you could use
24 Lagrangian and, you know, put in some worst case background
25 so that you don't have to do the full-blown photochemical

1 grid model. So maybe there's some flexibility there.

2 Obviously we'll follow that up some more in our written
3 comments, but that's just a suggestion.

4 Obviously this--George presented this yesterday on
5 Model Clearinghouse. It seemed like reading through the
6 proposal that there's a lot of places in there for going
7 through the Model Clearinghouse for approval. And, you know,
8 George showed the letter yesterday of a month.

9 Our concern is all the stuff that goes up before
10 that. There's all the work with the state and with the
11 regions and trying to get them to get to the Clearinghouse.
12 So again, if everything has got to go through the
13 Clearinghouse, obviously there's concern with the process,
14 also just with the issues of being responsive because of the
15 staffing resources that EPA has to deal with. So we just
16 feel that there's potentially a lot of things that could go
17 to the Clearinghouse. I'm not sure if that's the--you know,
18 the right answer for everything.

19 You know, this is--I think Sergio talked about
20 this, and I think Air & Waste also brought this up yesterday,
21 and I just want to recognize Steve Hanna, who--basically this
22 was his brainstorm when we presented our comments at the 10th
23 Modeling Conference of the need for a scientific advisory
24 panel.

25 I think an external panel could strengthen and

1 expedite some of these model improvements and could be used
2 as part of this tiered structure that was suggested yesterday
3 by Air & Waste. Again, the panel can review the proposed
4 methodologies, can review any specific model revisions, you
5 know, model--the panel can review the beta options before the
6 release to help, you know, with the bug fixes so that there's
7 not numbers of bug fixes after each other. Again, it's just
8 a--and also the panel could provide input on any guidance
9 that's issued prior, you know, to that.

10 So again, I think, you know, we suggested this, or
11 Steve suggested this, at the 10th Modeling Conference and I
12 think it's still a premonition. I think it sounds like
13 there's other people that are also behind this issue, so I
14 think, you know, this is one of our suggestions.

15 And just to kind of also wrap up here with the
16 tiered approach that Air & Waste brought up yesterday, I
17 think it's a good idea. We also support that. I think with
18 the one--one added suggestion is that I think for the one
19 year testing and debugging period, knowing how long it took
20 to get ARM2 and some of the low wind projects through the
21 system, I think our suggestion would be that the testing and
22 debugging be concurrent with the EPA assessment.

23 So when a project comes to EPA and it's ready to
24 go, instead of--while they're also reviewing it, put it out
25 there for testing and debugging so that the modeling

1 community can also look at it at the same time and try to
2 shorten up their review process, because you're still going
3 to have--as I suggested, you're still going to have a 90 day
4 comment period to take in any comments on any of the--any
5 improvements. But at least maybe some of that testing and
6 debugging could be done concurrently so that we can kind of
7 shorten up the time period on that. And that wraps it up.

8 Mr. Bridgers: Thank you, Chris. So we'll
9 transition from Chris to Cindy Langworthy. And Cindy is
10 going to offer some comments from UARG.

11 Ms. Langworthy: Thank you, George. I'm Cindy
12 Langworthy of Hunton & Williams, and I am pleased to have the
13 opportunity to speak with you on behalf of the Utility Air
14 Regulatory Group, UARG. UARG is a voluntary group of
15 electric generating companies and national trade
16 associations. The vast majority of electric energy in the
17 United States is generated by individual members of UARG or
18 other members of UARG's trade association members. UARG
19 participates on behalf of its members in proceedings under
20 the federal Clean Air Act that affect the interests of
21 electric generators.

22 Air quality modeling has an impact on many of the
23 activities of UARG's members. For example, such modeling
24 influences the siting and design of new power plants, and it
25 affects the operation of existing power plants. To ensure

1 that business decisions concerning these facilities are based
2 on accurate information, it is vital that EPA's recommended
3 models and modeling tools realistically estimate, not greatly
4 overestimate, the impact of power plant emissions on air
5 quality. EPA's proposed rule on revision of the modeling
6 guideline explicitly recognizes this. It says that the use
7 of modeling practices that are overly conservative may
8 unnecessarily complicate permitting.

9 But overly conservative modeling practices do more
10 than just complicate permitting. Overly conservative
11 practices can lead to predictions that air quality problems
12 exist when in fact they do not. And that in turn can force
13 expensive and unnecessary facility redesign or emission
14 reduction measures. It can even lead to cancellation of
15 planned facilities or shutdown of existing ones in order to
16 address problems that do not exist in the real world. And
17 the more stringent EPA makes its air quality standards, the
18 greater the problems caused by overly conservative models.
19 There is simply less room for error.

20 UARG plans to submit detailed written comments on
21 a broad range of issues raised by the proposed changes to the
22 modeling guideline. My comments today, though, are going to
23 focus on one overarching concern: EPA's continued reserva-
24 tions about accepting model improvements developed with
25 support from industry groups in order to make timely improve-

1 ments to EPA's preferred models.

2 And I will say that I've heard some stuff here.
3 I'll try and take it into account as I'm talking. I'm sort
4 of in the same position as Chris--that is, this was written
5 and approved, you know, before we heard the discussions here.

6 Industry groups have repeatedly shown that they
7 are willing at their own expense, and sometimes considerable
8 expense, to retain recognized air quality modeling experts to
9 undertake rigorous, well-vetted projects to develop tools
10 that address identified inadequacies in current models and
11 modeling techniques. They coordinate with EPA on such
12 projects, seeking and responding to feedback received from
13 the agency.

14 But when industries then provide EPA with improved
15 modeling tools, EPA does not necessarily, and I would say as
16 a matter of course, act promptly to incorporate the improved
17 tools in the modeling guideline or in guidance. Instead it
18 has been our experience that approval of new techniques
19 developed by anyone outside of the federal government are
20 delayed.

21 Often the best that happens is that after months
22 or years EPA will label those techniques as non-default beta
23 options, which means they cannot be employed unless the user
24 is willing to undertake burdensome, time-consuming, case
25 specific demonstrations of the worthiness of the new

1 techniques.

2 Thus, in addition to the cost of retaining
3 recognized modeling experts to carefully develop and test
4 model improvements, the regulated community faces the cost of
5 regulatory delay and uncertainty when seeking a permit to
6 build or to modify a source. And a climate of delay and
7 uncertainty discourages businesses from building new sources
8 or upgrading existing sources. Not only does this hurt the
9 economy, but it can also mean that existing sources with
10 higher emissions are not replaced or updated.

11 This is what has happened with industry developed
12 techniques to improve the prediction of short-term pollutant
13 concentrations during low wind speed conditions. EPA took a
14 step in the right direction in 2012 when it incorporated
15 three improved techniques, LowWind1, LowWind2, and U*, into
16 AERMOD and AERMET. Since then, however, these options have
17 been treated as non-default beta options, and running AERMOD
18 and AERMET with non-default beta options turns those
19 preferred models into nonpreferred or alternative models.

20 In other words, in order to use an improved
21 technique to model short term concentrations during low wind
22 speed conditions, users find themselves turning the preferred
23 AERMOD and AERMET into nonpreferred versions of the model.
24 And that burden--they then have the additional burden of
25 having to demonstrate to permitting authorities the

1 appropriateness of such nonpreferred alternative models from
2 both a theoretical and a performance perspective. And I'm
3 concerned that this already cumbersome process is about to
4 get worse because EPA has proposed that written approval will
5 be required from the Model Clearinghouse each time an
6 alternative model is going to be used.

7 UARG members had hoped that the proposed revision
8 of the modeling guideline would signal a major change in
9 EPA's attitude towards model improvements developed by those
10 outside of EPA. In particular, we hoped, indeed we expected,
11 that EPA would announce that it would no longer treat the
12 techniques for addressing AERMOD model overprediction under
13 stable, low wind speed conditions as non-default beta
14 approaches but would instead consider them acceptable by
15 default. As you have heard repeatedly at this conference,
16 these techniques have been shown to improve AERMOD's
17 performance significantly.

18 Language from the preamble to the proposed rule
19 encouraged us to think that EPA was in fact proposing such
20 action. The preamble states that EPA is proposing to--
21 proposing updates to the AERMOD modeling system to address a
22 number of technical concerns expressed by stakeholders and
23 goes on to explain that among the updates are proposed
24 options to address AERMOD model overprediction under stable,
25 low wind speed conditions. Great.

1 But the user's guides for AERMET and AERMOD still
2 refer to them as non-default and/or beta options, which means
3 their use would still require approval of an alternative
4 model. And we were encouraged yesterday by comments from EPA
5 that this may not be the case when the current rulemaking is
6 complete, and we certainly hope that's true.

7 And it appears that other industry-sponsored model
8 development work has not been incorporated into the default
9 models, although it may be. Although a modified version of
10 the ARM2 screening technique developed with industry support
11 has been incorporated into AERMOD, again, the AERMOD's user
12 guide indicates that this technique is a non-default data
13 option.

14 And an industry developed improved chemistry
15 algorithm for CALPUFF has not even been considered, as EPA
16 proposes to downgrade CALPUFF to the status of a screening
17 model. We were told that that would happen, that
18 consideration would take place, during this modeling
19 conference.

20 Furthermore, EPA does not seem--seems to have
21 determined some limitations on how Lagrangian models can be
22 used, which means that the SCICHEM model, a sophisticated
23 Lagrangian model with photochemistry that we heard about
24 yesterday, that industry developed at considerable expense
25 with significant feedback from EPA will not necessarily have

1 a role in the modeling guideline. We certainly hope it does.

2 But the preamble to the proposed rule indicates
3 that a Lagrangian model may be the type of model to be used
4 on a case by case basis for second level screening assess-
5 ments for Class I significance and cumulative increment
6 analyses. And again, on a case by case basis means it's an
7 alternative model.

8 In these times of limited budgets, EPA should take
9 advantage of the fact that industries are willing to
10 undertake at their own expense model improvement projects to
11 address identified inadequacies in the current suite of
12 tools. EPA should be able to review and approve the use of
13 such techniques promptly and should not let the improvements
14 linger as beta options for years.

15 The above described options to address AERMOD
16 model overprediction under stable, low wind speed conditions
17 have been beta options for three years. Three years as a
18 beta option is more than long enough. The modeling guideline
19 should be revised now to give appropriate stature to reviewed
20 and validated tools that recognized modeling experts have
21 developed with financial support from industry. Such
22 improvements should no longer be relegated to alternative
23 model status.

24 Moreover, it should not be necessary for the
25 regulated community to have to wait more than ten years in

1 order to see improvements in the modeling tools incorporated
2 in the modeling guideline. Nothing in the Clean Air Act
3 requires that a proposal to revise the modeling guideline be
4 tied to one of the triennial conferences, which, by the way,
5 are triennial, not every ten years. Nothing says that
6 changes to the guideline must be made all at one time instead
7 of as each new tool or option becomes available.

8 In summary, UARG continues to urge EPA to adopt a
9 more agile approach to updating the modeling guideline to
10 ensure that it keeps pace with the needs of all stakeholders
11 and with the efforts of stakeholders to provide the agency
12 with well-conceived, well-vetted improvements to existing
13 modeling techniques. UARG encourages EPA take full advantage
14 of model development work being performed by recognized
15 experts and funded by the regulatory community--the regulated
16 community.

17 And if I could just add a little aside here, I
18 understand that the modeling guideline is a rule and that
19 revising it requires notice and comment, rulemaking. I'm a
20 lawyer. I believe in this. What is not clear to me,
21 however, is what constitutes a bug fix that does not require
22 rulemaking, and what is a change that does, and I suggest
23 that EPA clarify the distinction.

24 In any event, the agency should now revise it's
25 proposed--the modeling guideline by classifying the helpful

1 new techniques, including those for low wind speed
2 conditions, as acceptable by default, not as non-default or
3 beta options. And Model Clearinghouse approval for the use
4 of such new techniques should not be required. It may well
5 be that EPA can take this action at the end of the current
6 rulemaking, and we would welcome that.

7 Even if taking such action would require the
8 current proposed Modeling Guideline revision to be re-
9 proposed, however, that should not stop the agency from
10 taking that correct step. UARG believes that any delay
11 caused by a re-proposal to include the fact that these will
12 become default options would be offset by the time that would
13 be saved by the ability to conduct modeling analyses without
14 the need to go through approval for an alternative model.

15 Furthermore, UARG recommends that EPA revise its
16 modeling guideline much more often than once every ten years.
17 EPA should put in place a mechanism that ensures the agency
18 will revise its modeling guideline whenever new modeling
19 techniques have been shown to improve model performance. And
20 the agency should consider whether revisions to the *Guideline*
21 are needed each time it revises a NAAQS, and if they are, it
22 should proceed to make those revisions promptly. Thank you.

23 Mr. Bridgers: Thank you, Cindy, and UARG. So
24 now we're going to go off of the agenda that you have in
25 front of you and we're going to go with two more

1 presentations, and if there's time we also have already
2 requested one oral comment that we'll squeeze in before
3 lunch. So pardon me just a minute to pull this over.

4 (Pause.)

5 There we go. So now I'll yield 15 minutes to
6 George Schewe--where's George--oh, there's George, with
7 Trinity Consultants.

8 Mr. Schewe: Good morning. My name is
9 George Schewe. I'm a meteorologist with Trinity Consultants
10 in Covington, Kentucky. And I'm going to keep this very
11 simple. A lot of you know I teach some classes for Trinity
12 and a few other places and I can speak for about an hour from
13 one slide, so I've got 18 slides, so we're going to cut it a
14 little shorter today.

15 One way to keep it simple is I'm kind of speaking
16 here on behalf of all the little guys that aren't here, the
17 local agencies, some of the state agencies, Chris Beekman
18 from--he's a meteorologist up in Ohio EPA. He called and
19 said, "Can you kind of be paying attention to what's going on
20 for me? We can't afford to get down here."

21 The city of Cincinnati has air toxics problems,
22 and one of the things that they still do--they don't have all
23 the CAMx capabilities--are some of them still run AERSCREEN.
24 Some of them are still running SCREEN3. And so we've been
25 trying to wean them away from running SCREEN3 and just

1 running AERSCREEN.

2 So what I did was I just looked at AERSCREEN and I
3 said is it really conservative, okay? So that is the whole
4 thing I'm going to talk about today. Here's the quote from
5 the existing Appendix W. I won't read to you all of it, but
6 the purpose of screening is to eliminate the need of more
7 detailed modeling so it will not cause--so it's supposed to
8 give you a conservative answer.

9 I couldn't find that in the new one, but what I
10 found that was close was in Section 4.2.1(b), and it says,
11 "As discussed in paragraph 2.2(a), screening models or
12 techniques are designed to provide a conservative estimate of
13 concentrations."

14 So if I've got AERSCREEN, and I've got an air
15 toxics program in my state and I'm not going to run CAMx for
16 an air toxics of 1 ton of formaldehyde from somebody in town,
17 I want to know if it's going to be conservative enough to
18 protect the standard so that I don't have to tell that little
19 mom and pop operation that they've got to run AERMOD and it's
20 going to cost them more to run AERMOD than it is to produce
21 whatever they're producing and put down a little bit of
22 formaldehyde. So that's what I tried to do.

23 So what I did was, unfortunately--I did this
24 couple or three months ago--I used some older versions of the
25 model. So one of the things that I need to do is rerun this

1 with the newer versions of the models to see if it makes any
2 difference, so AERSCREEN 14147, the current version of AERMOD
3 which is not current anymore, 14134. I used the current
4 versions of BPIP and AERSURFACE and AERMAP and basically set
5 it up using some of the default and suggested sources that
6 have been in some of the examples for AERMOD, ISC, and all of
7 the other models over the years, okay?

8 That one little bullet there at the end, which you
9 in the back can't see because it's way down on the bottom, is
10 that I've actually compared SCREEN3 to AERSCREEN, and if you
11 use all the defaults and do the best job you can do on
12 defining the Bowen ratio and the surface roughness and the
13 albedo that you get fairly similar results between SCREEN3
14 and AERSCREEN, at least for the current--the previous
15 version.

16 So what was my methodology, seven different source
17 types, and basically four different locations: Orlando,
18 Florida surface data, LaGuardia, Bowling Green, and Dalhart,
19 Texas. Those are really different types of meteorological
20 stations. These are little windroses for each of those
21 stations on an eastern U.S. map just to kind of show the
22 general patterns of wind that are going on there. And you
23 can see LaGuardia, New York has a very diverse pattern, a big
24 component from the northeast and from the northwest, which is
25 not unusual.

1 So what are the differences between some of these
2 stations? I took the two that were the most diverse from
3 each other and just put their little graphical Google Earth
4 image on here. LaGuardia in the top is situated near water,
5 but it's also situated in a very highly urbanized,
6 industrialized and commercialized area, as compared to
7 Dalhart, Texas, which is in the middle of a lot of circular
8 watering systems, watering plants for agricultural, so very
9 different in terms of that.

10 So what did that mean in terms of assigning
11 albedo? So I downloaded the AERSURFACE, the 1992, which is
12 now 23 years old, data and ran the AERSURFACE model on that
13 to get the albedo, the Bowen ratio, and surface roughness,
14 which I then put into AERMET to run the AERMET meteorology
15 data for using in the AERMOD part of the analysis but then
16 also used these inputs for the AERSCREEN part of the analysis
17 because you have to put those in.

18 The biggest difference there is, well, first,
19 Bowen ratio and the surface roughness. Those are quite
20 different from LaGuardia. So I just want to point that out
21 because when I show you some results in a few minutes, you'll
22 see how that affected the results possibly.

23 These are the sources I selected. Again, these
24 are derived from some example problems that are available for
25 AERMOD and have been kind of historically used over the

1 years, so four different stacks, from a little short stack up
2 to a GEP stack, and then an area source that was square, an
3 area source that was circular, and then a volume source that
4 was kind of a nominal dimensions, about the same size as the
5 area source because a lot of us use those for roadways and
6 things like that, so just put each of those into the models.

7 For receptors, the last bullet, no terrain; I
8 didn't want to have terrain affecting the analysis here, so
9 everything is flat. We're in eastern or western Illinois.
10 But then I've got two different receptor grids. For the
11 AERMOD analysis I just had a circular grid, which we don't
12 use much anymore, but I used a circular grid to kind of
13 simulate all the different 10 degree sectors of wind for
14 AERMOD. And then for AERSCREEN I just kind of took every-
15 thing to the east of each of these facilities because that's
16 the way the wind blows most of the time in AERSCREEN, from
17 the west.

18 Okay. The rest of the methodology, no downwash,
19 so no buildings or anything that's going to affect any of our
20 analysis. I ran AERMOD with each source for each receptor
21 for each meteorological location. And then I did one hour,
22 24 hour, and annual block averages--24 hour and annual block
23 averages, or I guess 24 hour is block average annuals,
24 though--everything and then all the one hour values. And
25 then I ran AERSCREEN/MAKEMET with each source for each

1 receptor for each of those and then used all the same inputs
2 for the AERSURFACE data that you need to run MAKEMET.

3 So what was my expectation? My expectation, based
4 on reading the two Appendix W, were that I would always get
5 higher concentrations with AERSCREEN for each situation. And
6 that would be something that I could use as a screening tool.

7 I had a second expectation on this slide and I
8 took it off because I still use AERSCREEN occasionally just
9 to model some sources to find out where's the hot spots. And
10 as my friend Ryan Gesser--Ryan, are you still here--said to
11 me years ago, "Why should I run AERSCREEN? Why don't I just
12 throw everything in AERMOD and run AERMOD because then we can
13 put in multiple sources." Oh, yeah, you can only do one
14 source at a time. I didn't run all seven of these at once,
15 okay? So, but I took that expectation out because I was
16 limited to 15 minutes.

17 So here are the answers. These are for one hour.
18 I know you guys in the back can't see these. But AERSCREEN
19 is in the third column, the concentration you got for one
20 hour from each airport. And then AERMOD is in the fourth
21 column. And then I just hit a simple yes or no, was it
22 conservative or not, okay? I'll highlight a few of these for
23 you.

24 So if we look at Dalhart, it looks pretty good
25 except for the square area source. If you look down here at

1 Orlando, it looks pretty good for all the sources. It was
2 pretty conservative for all the sources, and it was generally
3 above AERMOD. Then you look at Bowling Green, and for
4 Bowling Green neither one of the area sources passed. All
5 the point sources still passed, so that was good. AERSCREEN
6 was still conservative for the point sources. But then you
7 look finally at LaGuardia, and it's all nos except for the 35
8 meter stack. So for LaGuardia we did not get AERSCREEN to be
9 conservative, so I was a little concerned about that.

10 The last three columns over there were my little
11 hot spot analysis. I was trying to again figure out if it
12 really picked where the hot spots were, and again the same
13 kind of mixed results, did a pretty good job, but--so I
14 decided, okay, I'll plot these and just kind of see what they
15 look like.

16 So the northwest corner for all the meteorologists
17 there, that graphic for Orlando, AERSCREEN was always above
18 the AERMOD models, so it was conservative. But then if you
19 start looking at some of the other sources or locations,
20 Bowling Green, Kentucky, there's our area source there. It
21 was underestimated. And if you look again at Dalhart, it was
22 underestimated. If you look at LaGuardia, just about
23 everything again was underestimated. So it really wasn't
24 screening--a good screening tool for doing sources in the
25 LaGuardia type area.

1 The same kind of deal in the 24 hour concen-
2 trations, and if you look at all the locations there, all of
3 them on a 24 hour basis--and I didn't give you a tabular view
4 of the 24 hour. All of them you did get higher numbers.
5 Even at LaGuardia it did pretty good. You can see down at
6 the bottom corner here there are a few that were still below
7 at some of the source types, and I didn't pick out which
8 kinds those were.

9 On an annual basis, I think in this case all of
10 the answers were above the screening level--or the screening
11 level was above what you would get in AERMOD. So it did good
12 job on the longer term averages. As somebody earlier this
13 morning pointed out in one of their slides, the model does
14 pretty good for longer averages somewhere in space and time,
15 but when you get down to the shorter, one hour periods, maybe
16 it doesn't do as well.

17 Okay, so what are our observations? AERSCREEN is
18 not always higher than AERMOD for one hour concentrations,
19 especially--they're always higher for stacks in rural
20 situations, though. That was pretty good, I guess. But
21 they're not always lower for--and they're lower for most
22 source types in an urban situation. And again, I only based
23 that on one urban situation, that being LaGuardia, so--and
24 AERSCREEN is generally higher on a 24 hour and annual basis.

25 So my conclusions were AERSCREEN provides a good,

1 basic tool for consideration of sources very quickly. It's
2 not always conservative. It does better in rural situations,
3 meaning it's conservative. It does well for rural and area
4 sources. And it doesn't do as well--it underpredicts for
5 area sources--I'm sorry, in most locations. And it does
6 pretty well for longer averaging periods.

7 So as--Bob and I talked about this just a few
8 minutes before--or this morning, and, you know, one
9 consideration is rerun it with 15181. Another question,
10 though, I perhaps have for our panel of modelers here for
11 OAQPS is can you in MAKEMET, and maybe James--I think you
12 were the AERSCREEN guy yesterday--I can ask questions from
13 the podium, right?

14 Does MAKEMET have an option to include U* or the
15 low end options? And if we make it default in AERMOD, will
16 it also become default in AERSCREEN? So that was kind of one
17 last question. So I thank you very much. Have a good day.

18 Mr. Bridgers: Thank you, George. It's nice
19 to have another George up on the podium. So we have one last
20 presentation that has prepared slides, Mr. Jeff Bennett. And
21 Jeff, I am going to turn the podium to you.

22 Mr. Bennett: Good morning. As George told
23 you, my name is Jeff Bennett. I'm an air quality engineer
24 for Barr Engineering out of our Jefferson City, Missouri
25 office. I'm going to be giving a few comments today on the

1 ozone--single source ozone modeling component to the
2 Appendix W proposed rulemaking.

3 And what I--I mean George asked for people to say
4 who they're representing, and I would tell--I've been a
5 regulator for a long time. I was a regulator at the state of
6 Missouri for about 18 years, and so I've never really been
7 able to say--I'm representing myself today as a concerned
8 citizen, so there you go. That's who I'm representing--a
9 concerned air quality modeler may be better.

10 So just a quick, very quick, summary of what EPA
11 is--what appears, what my read of the initial--my initial
12 review of the Appendix W rulemaking and what they're trying
13 to do, they want to develop some MERPs. They're above what
14 the existing SERs are on a national basis, which, you know, I
15 think Chris from API said people would generally support. I
16 think that's true.

17 They want to utilize photochemical modeling of
18 areas around the project as a means to arrive at a calculated
19 ratio of precursors to downwind ozone impact, so basically
20 existing air quality data, photochemical modeling data to use
21 to develop these calculated ratios of ozone to precursors.

22 The third and the fourth ones are sort of combined
23 I think a little bit in the rulemaking, but a new photo-
24 chemical modeling analysis, and a lot of yesterday was
25 talking about the Lagrangian piece, to determine specific

1 projects will either have impacts above or below the SIL to
2 avoid a NAAQS modeling analysis, a cumulative NAAQS modeling
3 analysis.

4 And the last one of course is the one that's sort
5 of exactly the opposite of what George was just talking
6 about. It's not air screening. It's the most complicated
7 thing you can probably do in terms of modeling analysis,
8 which is full photochemical modeling.

9 All right, so regulatory context. As I said, I'm
10 an old regulator from the state of Missouri. I was working
11 there for about 18 years. And we went through a rulemaking
12 in about 2004, 2005, and it was called Missouri 10 CSR
13 10-6.345, and it was affectionately called the Upwind NO_x
14 rule. So we've already gone through--"we," this is the old
15 "we."

16 When I was working for the state of Missouri, we
17 went through a--went through a process as part of our NO_x SIP
18 component of our ozone--our ozone SIP, I'm sorry. As part of
19 our ozone SIP we went through a process and developed an
20 upwind NO_x rule for five counties upwind of the St. Louis
21 area. It was difficult. I don't begrudge EPA trying to go
22 down this road. I think it's going to be a long and winding
23 pathway.

24 But the idea was we wanted to--we wanted to sort
25 of alleviate some of the control requirements on existing

1 sources within an nonattainment area by trying to limit the
2 amount of impact that was coming in from upwind areas. So it
3 was a tradeoff situation. And so the concept was we were
4 going to develop this de minimis threshold, right?

5 And so there's a lengthy rule. It's been--
6 subsequently the rule has been revoked because it was never
7 used, quote-unquote, used, and the St. Louis area got
8 redesignated so there was--there was not a need for it at the
9 time. They've been redesignated back into nonattainment now,
10 but I guess the air standards are getting more stringent.
11 You can move back and forth; right?

12 So the idea is that you can go check out the rule
13 and see what it says, but the question you always--that comes
14 immediately to everybody's mind is what was the number, what
15 did you come up with, what's this upwind NO_x rule, what's the
16 MERP or the--what I call the local MERP.

17 It was 900 tons of NO_x per ozone season. May
18 through September was the ozone season. It still is. And
19 that is equivalent to about 2100 tons a day, a lot better
20 than the 40 tons a day for the SER, and so we had--we had
21 developed that process. We went through the evaluation to
22 generate that number.

23 What I'm not doing today is suggesting that that's
24 the right number. That's not what we're talking about. It's
25 not necessarily 2150 tons. It's not necessarily 900 tons for

1 ozone season, but it does--the process we went through raises
2 a lot of sort of more detailed technical issues that the
3 rulemaking and the subsequent guidance don't really get into,
4 and so that's what I'm going to focus on a little bit today.

5 So area specific considerations, and you can read
6 that stuff. I mean the photochemical models are great
7 because you include all the sources in there. It has back-
8 ground in it. You don't have to worry about adding in other
9 stuff or combining models. It's a single model to predict
10 concentrations to the extent it has the capability of doing
11 that, which you have to go through an evaluation exercise to
12 get a SIP approved, and so there was that benefit.

13 But in St. Louis we had gone through that exercise
14 and so we had the capability of going down the pathway of
15 using this existing data set to go through the analysis that
16 EPA's talking--that EPA is considering doing as part of the
17 Appendix W proposed rulemaking.

18 The fact is that that's a difficulty, though.
19 When you attempt to use a photochemical grid model, which
20 takes a long time to run--everybody gets that--for single
21 source analysis, it's impacted by all the sources that are
22 around it, the background, the ratio of VOC to NO_x.

23 I mean there's a whole pile of existing informa-
24 tion that has to be accounted for every time you run the
25 model and every modeling step. And so it changes every time

1 that the model kicks over to the next meteorological period.
2 And so the idea is that it causes--and not only is it a
3 benefit, it also causes some potential problems.

4 And so what did we find out? From a VOC/NO_x ratio
5 perspective in St. Louis, the reason why it's not called the
6 upwind VOC rule was because the St. Louis area is extra-
7 ordinarily NO_x limited. It's got a whole--Chet probably
8 remembers this from back in the day, but it's the biogenic
9 volcano in the Ozarks, which is south of St. Louis. And so
10 there's a whole pile of additional biogenic VOC that's
11 hanging around, and so the VOC controls doesn't make any
12 difference.

13 And so there wasn't an upwind VOC rule because you
14 could have changed a 10,000 ton a year VOC source or 100,000
15 ton a year VOC source and it wouldn't have made any
16 difference. And so that's why it's not called the upwind VOC
17 rule. It's called the upwind NO_x rule.

18 And so the idea is that that's going to be the
19 case in a lot of areas. You're going to have this same
20 problem in every--in every--in every county, every state,
21 every area, every rural or urban area, and you're going to
22 have these discussions. And so this is a specific issue that
23 EPA is going to have to address and deal with, I think.

24 So the next issue--so it's the next level. So
25 you've got levels of this stuff. So the first level on the

1 decision making process is which model am I going to use?
2 What episodes am I going to evaluate. Am I going to use
3 source apportionment or am I just going to use a brute force
4 method?

5 I mean those are all sort of first level
6 questions. What's the form of the model concentration that
7 we're going to compare to the SIL? There's all these sort of
8 specific things that are sort of rudimentary in terms of
9 moving past the initial hurdles that EPA is talking about
10 here.

11 And so the next levels--there's several levels of
12 conversation. It's about stack heights and VOC to NO_x ratio
13 and specific ozone speciation, and that's what this slide
14 talks about. So the reaction chemistry for all ozone models,
15 all photochemical models, is set up on profiles.

16 And so there's a grouping there. You don't model
17 every VOC species. There are groupings of species, right?
18 And so each one of those have got a different reactivity. If
19 it didn't have a different reactivity, why would you have a
20 speciation profile? You're going to have to--you have to
21 have it--you have to have it show up as different species in
22 order for the model to predict appropriately. And so that's
23 the idea. You need to speciate stuff.

24 And so what does that mean for downwind ozone
25 impacts? Eladio yesterday in his presentation went through

1 and was looking at highly reactive species versus somewhat
2 unreactive species, I think. And so his results would be
3 consistent with what I would have expected, which is you're
4 going to have higher--more reactive VOC species show up with
5 additional impacts and less reactive species, and so VOC
6 tonnages, one ton to the next, are not the same, and so
7 you're going to have to address that issue as well.

8 But generally, my overall comment--and we're
9 trying to get out of here on time for lunch, George, so there
10 you go. I'm doing what I can for you and everybody else.
11 The idea is that you guys have done a bunch of good work. I
12 think that you've evaluated this process and went through a
13 constructive and difficult arena to get down to the path of
14 trying to propose a MERP. Ultimately that's really what
15 we're talking about, I think, for a lot of sources that are
16 going to be out there.

17 The problem is that the level of detail that's in
18 the rule right now and the guidance isn't sufficient to talk
19 about a lot of these issues that are--that I didn't even
20 bring up today. There's dozens of issues like this you're
21 going to have to get through.

22 And so to provide substantive comments, and I
23 think a lot of folks have said this already, you're going to
24 have to come up with additional detail. The concept is
25 solid, we believe, or I believe in general, but you're going

1 to have to--you're going to have to come up with additional
2 things to provide the ability to provide comments from a
3 more--on a more detailed basis. That's what it amounts to.
4 And that's all I've got, with five minutes to go. I think I
5 set the record.

6 Mr. Bridgers: So since we have got into the
7 slight bit of clapping, I think now that we have finished all
8 of the presentations, at least with prepared slides, I think
9 that--for the EPA presenters yesterday and then all the
10 public presenters from the stakeholder community, I think we
11 should all give a round of applause.

12 (Applause.)

13 Mr. Bridgers: And EPA graciously appreciates
14 the effort from all the stakeholder community to provide
15 those comments to us in slide form, and we look forward to
16 your written comments by the 27th.

17 Considering it's 11:30, and we still have a little
18 bit of time before we break for lunch, we have had one
19 request for oral comments. I think it would be appropriate
20 to put that in before the lunch break, and depending on how
21 time goes, if there are some others that feel that they want
22 to say something, I think we can run up to say 11:45 or
23 11:50. We'll just see how it goes, and then we'll break for
24 lunch.

25 And immediately following lunch, I will open the

1 forum back up for anyone else that may have a desire to
2 speak. I'm not going to put forth any expectations. My
3 anticipation is it's probably going to be smaller, but all
4 the comments will be transcribed, so any that have to leave
5 for the airport at lunch, you can catch that as soon as we
6 post it to the web site in about a month.

7 So Bridget, are you--so next we have Bridget Lee.
8 Let me find a good slide to put up, Bridget, maybe this one.
9 Yeah, forget the times but the slide looks pretty good. So
10 Bridget Lee is with the Sierra Club, and 15 minutes.

11 Ms. Lee: I wish I had had this slide on
12 Wednesday morning when I was trying to find my parking spot.
13 Good morning, everyone. I'm Bridget Lee. I'm an attorney
14 with the Sierra Club. And I expect that we will be
15 submitting detailed written comments in October, but since
16 I'm here, I'll just share a few very brief thoughts.

17 First, the Sierra Club is very concerned with the
18 proposal to incorporate the LowWind3 and U* beta options as
19 regulatory defaults. In 2013 we submitted to EPA an
20 evaluation of the performance of the beta options, which
21 demonstrated that they decreased model performance and
22 increased the variability of impacts from tall stack sources
23 as compared to the accepted regulatory defaults.

24 The possibility that the adoption of these options
25 as defaults could lead to underprediction of air quality

1 impacts causes great concern within the environmental and
2 public health community. We question the reliance on the
3 Idaho Falls and Oak Ridge studies, which were excluded by EPA
4 during the initial evaluation of the model. Moreover, these
5 four year old studies are not likely to be representative of
6 air quality impacts from tall stack sources, and we don't see
7 any compelling reason that the agency should rely on the
8 studies now.

9 Second, with respect to the tier demonstration
10 approach for addressing single source ozone and PM_{2.5} impacts,
11 we're still in the process of assessing this approach but
12 again have concerns about whether it would fulfill EPA's
13 obligations under Section 165. Thank you for your time and
14 attention.

15 Mr. Bridgers: Well, thank you, Bridget. So
16 we now have a few more minutes before we break for lunch.
17 And we--typically we have a podium microphone set up in the
18 foyer, or excuse me, the aisleway there, but it's going to be
19 easier for transcription if you come to the podium. So if
20 there are any people in the audience that would like to offer
21 any oral comments at this time, you have 15 minutes of time
22 if you want it.

23 (Pause.)

24 Mr. Bridgers: We needed to pay for some
25 *Jeopardy* music or something. We'd have to pay copyright,

1 though. Merv Griffin gets his. Well, seeing no immediate
2 interest in providing additional oral comments to the record,
3 I will reiterate for those that will be leaving for the
4 airport over the lunch break that the comment period now
5 extends for--I think it's 74 days to October 27th.

6 I will during the lunch break update our web site.
7 I wanted to take the registration link off because that
8 becomes sort of invalid, but also to make sure all the
9 presentations are clearly posted. I know that there is one
10 or two that we had little slight corrections that are not
11 changing the record, but there's just some plots that need to
12 move around. But they'll be available.

13 And as said, it will be three or four weeks at the
14 minimum before the transcripts are ready, but as soon as the
15 transcripts are provided to us and we review them, we will
16 put those on the web site and put those in the docket, so
17 there should be at least--I'm figuring at least 45 days left
18 in the comment period for those that need to review the
19 transcripts and prepare their final comments.

20 And so with that, I will suspend the conference
21 and public hearing until 1 o'clock, and we will reconvene
22 exactly at 1 o'clock for those that come back, if you would
23 like to provide oral comments. Otherwise I wish those that
24 are traveling safe travels, and see you later.

1 **FURTHER PROCEEDINGS** 1:00 p.m.

2 Mr. Bridgers: Okay. I am going to in just a
3 moment call the public hearing and conference--oh, everybody
4 got quiet, so I'm going to go ahead and do it. I'm going to
5 call the conference and public hearing back to order. I hope
6 everybody enjoyed a pleasant lunch.

7 So really quickly, just because it's a formality,
8 I just want to reiterate things that everybody in this room
9 probably already knows, but since this is the oral session, I
10 just want to make sure that everybody knows that this is a
11 public hearing.

12 Everything that was said is going to be tran-
13 scribed and put in the docket. We're going to require that
14 everybody identify themselves and their affiliation--George
15 Bridgers, USEPA, here, Air Quality Modeling Group in RTP.

16 We're going to have a session for oral comments.
17 At such time that we do not have anybody else requesting a
18 speaking spot, then I will go ahead and close the public
19 hearing and conference. But that being said, written
20 comments for the next 74-ish days can be submitted to the
21 docket by October 27th. And on the information web site for
22 the conference and public hearing, there's a docket link. If
23 not, you can search for it--or it's even in this presentation
24 here.

25 The other thing--this is just a side note. Over

1 the lunch period I updated the 11th Modeling page, the web
2 site, so all the presentations are now more clearly posted.
3 They're not embedded in links--I mean they're still embedded
4 in links in the agenda, but there's a page now that has all
5 of them listed, and so you can just go to the 11th Modeling
6 Conference page and see that.

7 If there are any nonsignificant--let me make sure
8 I say this right--changes that need to be made by any of the
9 speakers--I know there was a couple of plots that didn't
10 print right with the .pdf--we can accommodate those, but if
11 there's any other substantive changes in the presentations,
12 they were given in a public record and I can't change them
13 now, including ours.

14 Let's see; what else? Other than that, I think
15 that we'll start--we do have one requested oral comments
16 here. And I will go back to the presentation I closed just
17 to have a nice pretty background on the screen. So Peter,
18 I'll give the floor to you. And just like everybody else,
19 you have up to 15 minutes if you need it.

20 Mr. Guo: Hello, everyone. My name is
21 Peter Guo. I work with Apex TITAN. We are a consulting firm
22 in Texas. I'll just take a few minutes, you know. We are
23 still working on the detailed comments about the proposed
24 regulation, so right now I'll just make quick brief comments.

25 We do have some concern for the additional

1 requirement of the PM_{2.5} secondary modeling requirement and
2 replacement of SCREEN3 with AERSCREEN. I think that
3 everyone--I think many people already talked about the
4 secondary--PM_{2.5} secondary formation modeling, so I won't
5 repeat our comments. I will just discuss the use of SCREEN3
6 here real quick.

7 As I mentioned, we do the permit modeling for the
8 oil and gas industry in Texas, and we have been using SCREEN3
9 for more than a decade, so SCREEN3 have demonstrated a very
10 useful tool for--you know, for the permit modeling in Texas.
11 So as proposed, SCREEN3 will be replaced with AERSCREEN at
12 this time, so we just suggest that SCREEN3 should be still
13 kept on the list of the preferred models, you know, give the
14 industry the option to use simple and, you know, quick tools
15 to do the permit modeling, you know.

16 We know, you know, AERSCREEN will give us a more
17 accurate result, but actually, you know, AERSCREEN will
18 require additional, you know, information such as, you know,
19 detailed meteorological data. You know, you have to collect,
20 Bowen ratio, you know, rough surface, or other, you know,
21 terrain, even the terrain information or building downwash
22 information, so--and in the meantime AERSCREEN will just give
23 a similar, you know, result compared with the SCREEN3 result,
24 you know, for the oil and gas, you know, permitting project.

25 And so overall, so I would suggest, you know,

1 still, you know, the SCREEN3 should be kept on the list of
2 preferred models, and I think that's all I have today. Thank
3 you very much.

4 Mr. Bridgers: Thank you, Peter. And so at
5 this point having no one that has requested time through Nan
6 up front, I will, like I did before lunch, open the floor up.
7 And probably what I'll do is leave the floor open for two or
8 three minutes. I might not stand up here in front of you
9 because we don't have the Merv Griffin music. But the
10 microphone is open, and if anybody feels that they would like
11 to offer some oral comments to the record, the floor would be
12 yours.

13 (Pause.)

14 Mr. Schewe: Good afternoon. My name is
15 George Schewe. I'm not going to speak for 15 minutes. I
16 just have a few things to say. I'm with Trinity Consultants.
17 That's our advertisement part.

18 The data requirements rule, the SO₂ consent
19 decree--we're in the middle of doing a lot of stuff for a lot
20 of clients, and the Appendix W changes coming right in the
21 middle of this is not helping us, as of course no time would
22 Appendix W changing help any of the analyses we have to do
23 for permitting or for air toxics or anything else.

24 So just having said that, I thought I'd leave you
25 with that thought as you're going down the road of trying to

1 get some of these studies completed. Thank you.

2 Mr. Bridgers: Thank you, George. We still
3 have plenty of time till 5 o'clock today. I think George
4 just wanted to get the last word in.

5 (Pause.)

6 Mr. Bridgers: It's as awkward for me as it is
7 for you guys. At least in the other meetings I manage, I
8 just wait for someone to make a motion that we close the
9 meeting, all in favor.

10 As the hearing officer, at least I'm not seeing
11 any motion toward the microphone, so I will make one last
12 call. Raise your hand if you're thinking; if not--going
13 once, going twice. Okay.

14 With that case, I will call a close to the 11th
15 Conference on Air Quality Modeling and for the public hearing
16 related to the proposed rulemaking for the *Guideline on Air*
17 *Quality Models*. We appreciate all of your participation, and
18 as I've said many times, safe travels and all that.

19 But I will also say that feedback, good, bad and
20 otherwise--I've said that to a few people--we welcome through
21 the comments formally on the proposed rulemaking, but also
22 with respect to the conference. We're not going to do a
23 formal suggestion box or a survey, but if there are things
24 that for future modeling conferences that you would think
25 that we should improve upon or change--coffee; yeah, can't do

1 it, unless we do it somewhere where you offer free coffee.

2 But nonetheless, I appreciate feedback, good, bad
3 and otherwise. So if there are things that you would like to
4 see changed in future modeling conferences other than
5 question and answer sessions--can't do it unless we're not
6 doing a rulemaking--but please send them along. You should
7 be able to find my e-mail address without any problem.

8 The other thing, and Tyler was good to remind me,
9 I know we've said offline to a bunch of people we are
10 planning or are in the preliminary planning stages for next
11 year's Regional, State, and Local Modelers Workshop.

12 I will not say that we are completely set upon a
13 destination because we have to get a bunch of things
14 approved, but it would be a city that in 2005 did have an
15 encounter with Katrina, if all goes to plan. And we also did
16 have a Regional, State, and Local Modelers Workshop there
17 that same year prior to Katrina.

18 But nonetheless, we're looking right now at
19 planning a weeklong meeting, so the first half would be
20 dispersion and the second half would be photochemical
21 modeling with an overlap day. And not that we've completely
22 set on it, but the thoughts would be as possibly the middle
23 day where we have an overlap between both curricula or both
24 disciplines is that we would also have invited stakeholders
25 come in. But it will happen in September. It will happen

1 after that we finalize the rule package, and so I think that
2 would be a forum that we could have a lot more interaction
3 than over the last couple of days.

4 So again, we appreciate everybody's participation
5 and just have a great rest of your day if you're staying here
6 enjoying the weather, or if you're traveling, I hope your
7 travels are safe.

STATE OF NORTH CAROLINA

COUNTY OF WAKE

C E R T I F I C A T E

I, Kay K. McGovern, do hereby certify that the foregoing pages 251 through 361 represent a true and accurate transcript of the proceedings held at the United States Environmental Protection Agency in Research Triangle Park, North Carolina, on Thursday, August 13, 2015.

I do further certify that I am not counsel for or employed by any party to this action, nor am I interested in the results of this action.

In witness whereof, I have hereunto set my hand this 10th day of September, 2015.

/s/ Kay K. McGovern

Kay K. McGovern, CVR-CM
Court Reporter