

1
2 U.S. ENVIRONMENTAL PROTECTION AGENCY

3
4 PESTICIDE PROGRAM DIALOGUE COMMITTEE MEETING

5
6
7
8 Wednesday, November 13, 2024

9 11:00 a.m.

10 DAY 1

PESTICIDE PROGRAM DIALOGUE COMMITTEE ROSTER

November 2024

NAME	AFFILIATION
User/Grower Groups/ Farmer Representatives	
Andrew Architect	National Pest Management Association
Bob Mann	National Association of Landscape Professionals
Claudia Arrieta	Cargill
Gary Prescher	National Corn Growers Association
George Parker	National Agricultural Aviation Association
Grant Morris	National Potato Council
Jill Schroeder	Weed Science Society of American
John Wise	IR-4 Project
Kim Brown	University of Tennessee
Patrick Johnson, Jr.	National Cotton Council
Robert Nielsen	Gold Course Superintendents Associations of America
Environmental/ Public Interest/ Animal Welfare Groups	
Alexis Temkin	Environmental Working Group

1	NAME	AFFILIATION
2	Anna van der Zalm	People for the Ethical
3		Treatment of Animals
4	David Shaw	Mississippi State University
5	Ed Hardy Kern	American Bird Conservancy
6	Nathan Donley	Center for Biological
7		Diversity
8	Rosemary Malfi	The Xerces Society for
9		Invertebrate Conservation
10		
11	Farmworker Representatives	
12	Becca Berkey	Northeastern University
13	Mily Treviño-Sauceda	Alianza Nacional de
14		Campesinas, Inc.
15		
16	Public Health Representatives	
17	Alanna Bares	California Environmental
18		Protection Agency
19	Joseph Grzywacz	San Jose State University
20	Marc Lame	Indiana University
21		
22	Chemical and Biopesticides Industry/Trade	
23	Associations	
24	Anastasia Swearingen	American Chemistry Council
25		

1	NAME	AFFILIATION
2	Daren Coppock	Agricultural Retailers
3		Association
4	Karen Reardon.	Responsible Industry for a
5		Sound Environment
6	Keith Jones	Biological Products Industry
7		Alliance
8	Ligia Duarte	Household & Commercials
9		Products Association
10	Lisa Dreilinger	Arxada
11	Manojit Basu	CropLife America
12	Terry Kippley	Council of Producers and
13		Distributors of
14		Agrotechnology
15		
16	State/Local/Tribal Government	
17	Brian Verhougstraete	Association of American
18		Pesticide Control Officials
19	Wendy Sue Wheeler	Washington State University
20		
21	Federal Agencies	
22	Ed Messina (Chair)	Office of Pesticide Programs
23		Environmental Protection
24		Agency
25		

1	NAME	AFFILIATION
2	Gina Shultz	Ecological Service
3		US Fish and Wildlife Service
4	Kimberly Nesci	Office of Pest Management
5		Policy
6		US Department of Agriculture
7	Walter Alarcon	National Institute for
8		Occupational Safety and
9		Health
10		Centers for Disease Control
11		and Prevention
12		
13		
14		
15		
16		
17		
18		
19		
20		
21		
22		
23		
24		
25		

I N D E X

Meeting Logistics -- Page 7

Meeting Welcome -- Page 10

PPDC Member Instructions -- Page 21

OPP Updates: Recent Activities,

Accomplishments, and Workload Metrics -- Page 35

Emerging Pathogen Implementation Committee

Update -- Page 89

Pesticide Resistance Management #2

Workgroup Update -- Page 115

Pesticide Label Reform Workgroup Update - Page 123

Public Comments -- Page 172

1 P R O C E E D I N G S

2 DAY ONE - NOVEMBER 13, 2024

3 MEETING LOGISTICS

4 JEFFREY CHANG: Good morning. Welcome to
5 the members of the public, Federal Advisory
6 Committee members, workgroup members, EPA, and other
7 agency staff who have joined virtually. This is Day
8 1 of the November 2024 Pesticide Program Dialogue
9 Committee Meeting.

10 My name is Jeffrey Chang, the Designated
11 Federal Official for the PPDC and moderator for the
12 next two days.

13 If technical issues arise, please bear
14 with us. If you have any technical questions,
15 please email Kevin Annas at A-N-N-A-S.K-E-V-I-
16 N@epa.gov.

17 Accommodations, ASL, CART, and translation
18 services are available.

19 In just a moment, I'll pass it over to the
20 Director of the Office of Pesticide Programs, Ed
21 Messina, to officially open the meeting.

22 Before I do, I want to go over some quick
23 housekeeping items as we get started today. I want
24 to draw your attention to the interpretation button
25 on the bottom panel of your Zoom window to the right

1 of your screen. In just a moment, I will enable
2 interpretation. Regardless of your preferred
3 language, you need to click on that button and
4 select either English or Spanish and mute original
5 audio to be able to fully participate in the
6 meeting. This will place you in either the English
7 or Spanish channel. And as we anticipate a
8 bilingual meeting today, it is important that you
9 choose one of these channels.

10 For our Spanish-speaking colleagues, I
11 will now turn it over to our interpreter, Jackie,
12 who will provide these instructions in Spanish in
13 the main channel.

14 (Spanish instructions.)

15 JEFFREY CHANG: Thank you, Jackie.

16 Closed captioning and live transcription
17 is available to those who use the service by
18 clicking the closed captioning button in the bottom
19 panel of your Zoom screen. We also have an ASL
20 interpreter today and CART provider. These services
21 can also be accessed through the interpretation
22 button used to select Spanish translation.

23 If you are a member of the public, you
24 will be in listening mode for the duration of the
25 event. Members of the public who have expressed

1 interest in providing comment during the
2 registration period will have an opportunity to
3 provide comment at the end of the day. If you did
4 not preregister for comment, you may email me
5 chang.jeffrey@epa.gov or use the raise hand function
6 once we come to the comment period at the end of the
7 day, and we will do our best to recognize you during
8 the public comment sessions on each day of the
9 meeting after we recognize those who signed up in
10 advance.

11 PPDC and workgroup co-chairs are
12 designated as panelists in Zoom, meaning that they
13 can request to be recognized during the discussion
14 session by using the raise hand function and can
15 unmute themselves and activate their webcams after
16 being called upon. It is important that you remain
17 muted with your webcam off unless you are recognized
18 to speak.

19 Today's meeting is being recorded for the
20 purpose of having meeting transcripts and minutes
21 produced. We ask that all presenters speak slowly
22 and clearly to ensure that everyone can understand
23 and participate fully in the meeting. This is also
24 important for our Spanish translators.

25 Conversations should take place orally.

1 The chat function should only be used to contact
2 meeting hosts.

3 Finally, as I recognize members of the
4 PPDC and public for comments, I'll do my best to
5 correctly pronounce your names, but I apologize
6 ahead of time if I mispronounce your name and I ask
7 that you please correct me in case that I do.

8 I will now hand it over to Ed Messina,
9 Director of the Office of Pesticide Programs to give
10 a welcome message.

11 Welcome, Ed.

12 MEETING WELCOME

13 ED MESSINA: Thank you, Jeffrey, and a
14 very warm welcome to our PPDC members and members of
15 the public who have joined today's meeting.
16 Appreciate you showing interest in the work that we
17 do in the Office of Pesticide Programs.

18 As many of you know, we have members from
19 various organizations a great representative from
20 industry, nonprofit organizations, universities, and
21 many other associations who do their best to
22 represent the broad swath of stakeholders that care
23 about the work that we do here at OPP. And we
24 appreciate that you are here and really interested
25 in an open dialogue around the topics that are on a

1 really packed and wonderful agenda that was set by
2 the PPDC members with their input.

3 I wish we were in person. As you know, as
4 you'll see later on today, I've got some
5 presentations to talk about OPP's budget for '24.
6 We're still operating under a continuing resolution
7 for '25. So we thought it was prudent to have this
8 meeting virtually, although we do appreciate the
9 ability to do in-person meetings and not ruling out
10 a future in-person PPDC meeting. But as it stands,
11 the budget picture for us to be able to support
12 having this in-person wasn't -- we weren't able to
13 do that for this meeting, although we have in the
14 past.

15 And as Jeffrey will cover, we have a
16 pretty full agenda today and tomorrow. I'm going to
17 talk a little bit about today at the opening, after
18 we do introductions, the Office of Pesticide
19 Programs activities that occurred in '24. I'll talk
20 a little bit about the PPDC charter and sort of, you
21 know, why we are here today and the benefit of this
22 Federal Advisory Committee and the conversations
23 that ensue.

24 So as many of you know, the Office of
25 Pesticide Programs is entrusted with the important

1 responsibility of ensuring that Americans are not
2 exposed to unsafe levels of pesticides in foods,
3 protecting Americans from unreasonable risk,
4 educating pesticide applicators and others who may
5 be exposed to pesticides, and protecting the
6 environment, special ecosystems, and wildlife from
7 the potential risks to pesticides. We are proud
8 about the work that we do to help growers put food
9 on people's tables and to ensure that the public is
10 protected during those activities and while they're
11 consuming those great products.

12 So in terms of PPDC, I'll refresh some of
13 you and we have some folks that are newer to PPDC,
14 sort of, you know, what is it and why was it
15 chartered and what are we hoping to accomplish
16 today. PPDC is what's called a Federal Advisory
17 Committee. It was formed in 1995 under the Federal
18 Advisory Committee Act. We generally refer to that
19 as FACA. Congress passed the FACA statute in 1972,
20 designed to create an orderly procedure by which
21 federal agencies can seek collective advice from
22 diverse customers, partners, and stakeholders. And
23 the FACA establishes procedures for the management
24 of the Federal Advisory Committees and ensures that
25 there's transparency for the Federal Advisory

1 Committee's decision-making and ensures balanced
2 representation. And through the procedures of our
3 Designated Federal Official, Jeffrey, we've ensured
4 that we have balanced representation on this
5 Committee and appreciate the input from all the
6 stakeholders that are involved.

7 PPDC supports EPA in performing its duties
8 and responsibilities under many of the statutes that
9 it implements, the Federal Insecticide, Fungicide
10 and Rodenticide Act, the Federal Food, Drug and
11 Cosmetic Act, the amendments to both of these, and
12 major statute updates, including the Food Quality
13 Protection Act, the Pesticide Regulatory Improvement
14 Act, and the Endangered Species Act. And these are
15 directly linked in the charter's objectives, scopes,
16 and activities.

17 If you are interested in seeing the
18 charter for PPDC, we have a website which has lots
19 of great information about prior meetings. There's
20 transcripts of prior meetings, there's presentations
21 from prior meetings, there's agendas, a wealth of
22 information for all of the advice that's been
23 dispensed over the years from the PPDC.

24 Generally, there are different types of
25 FACAs and we do participate in other federal

1 advisory groups, the Children's Health Advisory
2 Group, the NEJAC, FRRCC. But PPDC is the premier
3 policy-oriented committee for OPP that provides
4 policy advice, information, and recommendations to
5 EPA. PPDC provides a cooperative public forum to
6 collaboratively discuss a wide variety of pesticide
7 regulatory development and reform initiatives that
8 involve public policy and program implementation
9 issues.

10 There's lots of evolving issues that have
11 been discussed over the many years, policies and
12 science. So specifically, you know, resistance
13 management, emerging viral pathogens, emerging
14 technologies, environmental justice, climate change,
15 endangered species pollinators. So there's a whole
16 host of issues that are of importance to the many
17 stakeholders that are representative of the
18 Pesticide Program Dialogue Committee, which we'll
19 start introducing.

20 So with this background and the charter in
21 mind, I want to also give a little bit of background
22 about some of the workgroups that you'll be hearing
23 from today and tomorrow and a refresher about sort
24 of the structure and how those workgroups are formed
25 and why the Federal Advisory Group and PPDC benefit

1 from these workgroups. And I'd like to take a
2 minute now, as I'll do throughout the sessions, of
3 thanking the many volunteers that are on the sub-
4 workgroups that are supporting the PPDC. Without
5 these subgroups, we couldn't really get the
6 information we needed on, you know, research-
7 gathering and documentation and supporting documents
8 and charge questions and really providing input to
9 the PPDC to recommend to EPA policy changes.

10 So generally workgroups are formed to
11 assist the Federal Advisory Committee with research
12 information, as I mentioned, gathering information
13 to help PPDC members make decisions, documenting
14 prior decisions. And as outlined in the PPDC
15 charter itself, the workgroups and subcommittees are
16 formed by either EPA or with EPA's approval for any
17 purpose consistent with the charter. The
18 subcommittees or workgroups may not work
19 independently of the charter committee and must
20 report their recommendations and advice to the
21 chartered PPDC for full deliberation and discussion.

22 So as the subcommittees discuss their
23 topics, there will be some recommendations to PPDC
24 members, either to adopt certain reports and submit
25 them to the agency and -- you know, and PPDC is

1 really the entity that is charged with making those
2 decisions with input from the subcommittees. The
3 subcommittees or workgroups don't have any
4 independent authority to make decisions on behalf of
5 the charter committee and nor do they directly
6 report to EPA.

7 So there were four PPDC workgroups in
8 2020. Over the many years of PPDC, there's been
9 many workgroups, but there were four that were
10 formed in 2020, that started late in 2020. These
11 groups explored charge questions on topics related
12 to emerging viral pathogens, emerging agricultural
13 technologies, farmworker and clinician training, and
14 pesticide resistance management. These are all
15 pressing issues for the Office of Pesticide Programs
16 and we are continuing to develop practical and
17 protective approaches that work with our
18 stakeholders based on many of the recommendations
19 that were brought from these subcommittees through
20 the PPDC memberships and continuing to implement
21 many of those approaches.

22 The reports and the presentations, like
23 all the materials for this session and past PPDCs,
24 as I mentioned, are on our website, including the
25 full transcripts of everything that was discussed

1 during that meeting.

2 In 2022, the PPDC voted to form the Label
3 Reform Workgroup and the Resistance Management
4 Workgroup Number 2 to handle three charge questions
5 that came out of the original Resistance Management
6 Workgroup. And you're going to hear from those
7 workgroup members today and tomorrow. And at the
8 fall 2023 meeting, the PPDC voted to reform the
9 Farmworker Workgroup. So there was a farmworker
10 group, it had been sunsetted. And then in '23, a
11 new Farmworker Workgroup was established.

12 So what this means is the PPDC currently
13 has four active workgroups, the Label Reform
14 Workgroup, the Resistance Management Workgroup
15 Number 2.0, the Emerging Pathogens Implementation
16 Committee and the Farmworker Workgroup.

17 So the Emerging Pathogens Implementation
18 Committee and the Resistance Management Workgroup
19 are going to present their final reports after
20 lunch. Members will have a chance to vote on the
21 formal report submission to EPA and sunsetting the
22 groups at their recommendation. So you'll hear from
23 them. And the Label Reform Worker will give their
24 update on the progress that they've made, which has
25 been pretty impressive. And we will hear from the

1 Farmworker Workgroup tomorrow afternoon. Each
2 session is going to be followed by a discussion
3 amongst the whole PPDC, and we welcome active member
4 engagement and direction to the workgroups and
5 discussion, and then, ultimately, based on the
6 workgroups' recommendations, PPDC voting on a
7 recommendation for EPA if that is called for in
8 those sessions.

9 So in addition to the workgroup updates,
10 we have a lot of interesting sessions over the next
11 two days. This is based on input from our PPDC
12 members on suggested agenda topics. We're going to
13 start off with the presentation that I will do, as
14 is custom, on all the work that OPP has done the
15 past year or since the last PPDC meeting. And we're
16 going to talk about all the science and technology
17 and deliverables that occurred last year, a pretty
18 impressive number of deliverables as you'll see from
19 the presentation.

20 And then we'll follow that with the
21 discussion of the PPDC members. They can discuss
22 amongst themselves any of the topics that were
23 raised. Not generally an opportunity for Q&A for
24 me. I prefer to have the PPDC members discuss the
25 topics or, you know, make any recommendations for

1 future topics at the next PPDC meeting based on my
2 presentation. And then we'll also have some time in
3 the wrap-up for Day 2 to talk about what we'd like
4 to do for the next Pesticide Program Dialogue
5 Committee.

6 In addition to the workgroup updates and
7 the Office of Pesticide Program updates, we're going
8 to share some updates on endangered species
9 activities, drone risk assessments, and biocontrol
10 issues. So those were topics that were also added
11 to the agenda.

12 So the PPDC has a history over these many,
13 many years of engaging in these open dialogues and
14 respectfully sharing different opinions with the
15 goal of working together as a committee and
16 providing advice to EPA. We are confident that the
17 meeting today and tomorrow will result in really
18 helpful feedback as it has in the past with many of
19 the recommendations that come forward and with the
20 implementation that EPA has taken on some of these
21 recommendations, and really appreciate the time that
22 PPDC members devote to this committee.

23 In particular, we want to thank the
24 subcommittees for all the work they did to make this
25 meeting successful. Thank you to all the folks

1 surrounding this meeting, including Jeffrey, our
2 translation service folks, the administrative folks
3 that are helping support the technology in the
4 background to make this go as smoothly as possible.

5 Bear with us. If we do have any
6 technological issues, we'll try to remedy them as
7 quickly as we can. But we really appreciate
8 everyone's time today and interest in the topics
9 that OPP has before it and the policy and science
10 issues and difficult questions that we have to
11 answer on a daily basis and really appreciate the
12 different perspectives that are part of this
13 multifaceted group of individuals who are really, I
14 would say, respected in each of their own careers
15 and in their own right and really bring an amazing
16 varied perspective, which helps the agency make
17 better policy decisions. So appreciate your time
18 there.

19 So with that, I will turn it back to
20 Jeffrey. We will do our member introductions and
21 then after that we will pick up with the agenda on
22 the Office of Pesticide Program updates.

23 So back to you, Jeffrey.

24 JEFFREY CHANG: Thank you, Ed. Let's take
25 a minute to walk through the agenda. In just a

1 moment, I will roll call members of the PPDC. After
2 that, Ed will give an update on the Office of
3 Pesticide Programs. Then we will break for lunch
4 starting at 1:00, reconvening at 1:45 for an update
5 on the Emerging Pathogen Implementation Committee
6 and vote on their final report. At 2:30, we will
7 hear from the Pesticide Resistance Management
8 Workgroup and vote on their final report. After, we
9 will receive an update from the Pesticide Label
10 Reform Workgroup. At around 4:05 is the public's
11 Opportunity for comment.

12 This is the only time we will hear from
13 the public. As mentioned before, we will open the
14 meeting up to those who signed up to provide comment
15 and we'll get to as many of those who have contacted
16 us during the meeting as time will allow before we
17 adjourn at 4:30.

18 PPDC MEMBER INTRODUCTIONS

19 JEFFREY CHANG: Now, I will roll call
20 members of the PPDC. I will call these in
21 alphabetical order by first name. The list of
22 members will be shown on screen. When I call your
23 name, please unmute your microphone and tell us your
24 name, role, the organization or group you represent
25 and their mission. And as a reminder, please mute

1 your microphone when you are finished.

2 First up, we have is Alanna Bares.

3 ALANNA BARES: Hi, I'm Alanna Bares. I am
4 a public health medical officer with the California
5 Environmental Protection Agency's Office of
6 Environmental Health Hazard Assessment, and my team,
7 we do education and outreach on the health effects
8 of pesticides, mainly focusing on clinicians and
9 nonclinicians. Thank you.

10 JEFFREY CHANG: Alexis Guild, I believe
11 she's out today.

12 Alexis Temkin?

13 ALEXIS TEMKIN: Hi, everybody, I'm Alexis
14 Temkin. I'm a senior toxicologist with the
15 Environmental Working Group, which is a nonprofit
16 organization. We're based in D.C., and we work on
17 consumer education awareness on health effects
18 associated with pesticides, as well as research on
19 pesticide toxicity and exposure.

20 JEFFREY CHANG: Anastasia Swearingen?

21 ANASTASIA SWEARINGEN: Hi, I'm Anastasia
22 Swearingen, the Executive Director for the American
23 Chemistry Council Center for Biocide Chemistry. We
24 are a trade association representing antimicrobial
25 pesticide registrants, and our mission is to promote

1 the safe use and regulation of antimicrobial
2 pesticide products in their various uses.

3 JEFFREY CHANG: Andrew Architect?

4 ANDREW ARCHITECT: Hey, good morning.
5 Andrew Architect with the National Pest Management
6 Association. We're a trade association based in
7 Fairfax, Virginia that represents pest control
8 operators, So those folks that do pest control in
9 and around homes, businesses and food facilities to
10 keep out rats and bedbugs and mice and those kind of
11 pests that invade our structures.

12 JEFFREY CHANG: Anna van der Zalm?

13 (No response.)

14 JEFFREY CHANG: Becca Berkey?

15 ED MESSINA: Hey, Jeffrey. Anna was
16 talking, but --

17 JEFFREY CHANG: Oh, sorry.

18 ED MESSINA: And Anna is off mute, but we
19 don't hear you, Anna. I don't know if you're
20 double-muted. Yep, I've done it to myself. Now
21 you're off -- now you're on mute in Zoom. And maybe
22 there's a mic setting in Zoom you might want to
23 explore. Try now. No, still don't hear you.

24 ANNA VAN DER ZALM: Can you hear me now?

25 ED MESSINA: Yes.

1 ANNA VAN DER ZALM: Great. I'm so sorry
2 about that. Yeah. So I'm Anna van der Zalm. I'm
3 here representing People for the Ethical Treatment
4 of Animals. I'm an advisor for the PETA Science
5 Consortium International, and we're an international
6 group of scientists working to advance reliable and
7 relevant nonanimal toxicity testing approaches to
8 protect human health and the environment. So thank
9 you again for having me, and I'm sorry for that mix-
10 up.

11 JEFFREY CHANG: Yes, just let me know if
12 anyone's on mute.

13 Becca Berkey?

14 BECCA BERKEY: Hi, everyone. My name is
15 Becca Berkey and I am in Boston, Massachusetts where
16 I work at Northeastern University as the Senior
17 Director of Integrative Engagement and Global
18 Impact. But I'm here as a farmworker representative
19 with my work with the Farmworker Health and Justice
20 Team of Coming Clean, which is a national
21 organization. And this specific working group,
22 which includes farmworker advocates, healthcare
23 professionals, health experts, scientists and
24 attorneys, is really guided by the needs of
25 farmworkers and the voice of farmworkers to really

1 campaign for better working conditions, stronger
2 health and safety regulations, and reduce toxic
3 chemical exposures for farmworkers.

4 JEFFREY CHANG: Bob Mann?

5 BOB MANN: Good morning, everyone. Bob
6 Mann with the National Association of Landscape
7 Professionals. Good to be with you this morning.

8 JEFFREY CHANG: Brian Verhougstraete?

9 BRIAN VERHOUGSTRAETE: Hey, you nailed the
10 pronunciation. Good job. Brian Verhougstraete
11 here. I'm the Pesticide Program Administrator for
12 the Michigan Department of Agriculture and Rural
13 Development. I'm also here representing the
14 Association of American Pesticide Control Officials,
15 AAPCO. We are the association made up of state
16 pesticide regulatory officials throughout the states -- and
17 also territories throughout the United States.

18 JEFFREY CHANG: Caleb Ragland?

19 (No response.)

20 JEFFREY CHANG: No?

21 Claudia Arrieta?

22 CLAUDIA ARRIETA: Hello, everybody. This
23 is Claudia. I am in Cargill, working in Cargill. I
24 am a pesticide applicator and also doing WPS
25 training and my specific use for pesticides in

1 greenhouses and also R&D. Thank you for being here.

2 JEFFREY CHANG: Daniel Markowski?

3 (No response.)

4 JEFFREY CHANG: Daren Coppock?

5 DAREN COPPOCK: Good morning everyone. My
6 name is Daren Coppock. I am the President and CEO
7 of the Agricultural Retailers Association. We're a
8 national trade association based in Arlington,
9 Virginia, that represents the companies that work
10 with farmers to help them grow crops.

11 JEFFREY CHANG: David Heimer?

12 (No response.)

13 JEFFREY CHANG: David Shaw?

14 (No response.)

15 JEFFREY CHANG: Hardy Kern? Oh, David --

16 HARDY KERN: I think David just came off
17 mute as well, so I'll let him go.

18 JEFFREY CHANG: Got it. Yes.

19 DAVID SHAW: Sorry about that. Yes, David
20 Shaw. I'm at Mississippi State University and I
21 represent the Weed Science Society of America.
22 WSSA focuses on promoting research, education,
23 extension and outreach, activities related to weeds,
24 providing science-based information to the public
25 and policymakers and fostering awareness of weeds

1 and their impacts on managed and natural ecosystems.

2 JEFFREY CHANG: Hardy Kern?

3 HARDY KERN: Good morning, everyone.

4 Hardy Kern, he/him, with American Bird Conservancy.

5 I'm Director of Government Relations and I also

6 oversee our Pesticides and Birds Campaign. ABC --

7 we just got a new slogan. We just rebranded so you

8 might notice a new logo. We are dedicated to taking

9 bold actions for birds and their habitats across the

10 Americas, and our Pesticides and Birds Campaign

11 specifically looks at ways to reduce the impacts of

12 pesticides on birds and their habitats.

13 JEFFREY CHANG: Emma Torres?

14 (No response.)

15 JEFFREY CHANG: Eric Gjevre?

16 (No response.)

17 JEFFREY CHANG: Gary Prescher?

18 GARY PRESCHER: Good morning, everyone.

19 I am here representing National Corn Growers

20 Association. My journey to this committee started

21 through the Minnesota Corn Research and Promotion

22 Council, serving on the Discovery and Development

23 Team, and then on the National Corn Growers

24 Production Technology and Sustainability Teams.

25 The mission of the national organization

1 is to coordinate with state checkoff organizations
2 working together to help protect and advance corn
3 grower interests. Thank you.

4 JEFFREY CHANG: George Parker?

5 GEORGE PARKER: Good morning. George
6 Parker. I am an aerial applicator from Idaho and I
7 am representing the National Agricultural Aviation
8 Association following in Damon Reabe's footsteps on
9 the PPDC.

10 JEFFREY CHANG: Gina Shultz?

11 GINA SHULTZ: Good morning. I'm the
12 Deputy Assistant Director for Ecological Services at
13 U.S. Fish and Wildlife Service and I work closely
14 with EPA to ensure that the registration of new AIs
15 and new uses, as well as reregistration of existing
16 pesticides are in compliance with the Endangered
17 Species Act.

18 JEFFREY CHANG: Grant Morris?

19 GRANT MORRIS: Hi, my name is Grant Morris.
20 I'm a potato grower from Washington State, and I'm
21 here today representing the National Potato Council,
22 which represents all potato growers in the country
23 on federal issues in Washington D.C.

24 JEFFREY CHANG: Jill Schroeder?

25 (No response.)

1 JEFFREY CHANG: Joseph Grzywacz?

2 JOSEPH GRZYWACZ: Hey, good morning,
3 everyone.

4 JEFFREY CHANG: Oh, sorry.

5 JILL SCHROEDER: My name is Jill
6 Schroeder. I'm here as a Professor Emeritus of Weed
7 Science from New Mexico State University, and I'm
8 representing the Weed Science Society of America
9 that David Shaw just discussed. Thank you and
10 looking forward to a good discussion today.

11 JEFFREY CHANG: Joe Grzywacz?

12 JOSEPH GRZYWACZ: Good morning, everyone.
13 My name is Joe Grzywacz. I am the Associate Dean
14 for Research in the College of Health and Human
15 Sciences at San Jose State University, and I sit on
16 the PPDC in representation of both public health
17 research and the implications of pesticides for
18 public health, as well as for farmworkers
19 themselves. It's nice to meet everyone.

20 JEFFREY CHANG: John Wise?

21 (No response.)

22 JEFFREY CHANG: Karen Reardon?

23 JOHN WISE: Good morning, everybody.

24 JEFFREY CHANG: Sorry.

25 JOHN WISE: Sorry. Sorry for the delay.

1 I'm John Wise, trained as an entomologist, and
2 representing the IR-4 Project in this meeting.
3 Thank you.

4 JEFFREY CHANG: Karen Reardon?

5 KAREN REARDON: Good morning, I am Karen
6 Reardon. I'm the Vice President of Public Affairs
7 for the trade association Responsible Industry for a
8 Sound Environment. And we represent the
9 manufacturers, formulators and distributors of
10 pesticides used by professionals and consumers in
11 nonagricultural settings.

12 JEFFREY CHANG: Keith Jones?

13 KEITH JONES: Good morning. Keith Jones
14 I'm with BPIA. We are the trade association
15 representing the biopesticides industry.

16 JEFFREY CHANG: Kelly Bills?

17 (No response.)

18 JEFFREY CHANG: Kim Brown?

19 KIM BROWN: Good morning, everybody. My
20 name is Kim Brown. I'm with the University of
21 Tennessee.

22 JEFFREY CHANG: Kimberly Nesci?

23 KIMBERLY NESCI: Yes. Good morning,
24 everyone. This is Kimberly Nesci. I am Director of
25 USDA's Office of Pest Management Policy. We

1 represent the voice of the growers in regulatory
2 conversations between EPA and industry and serve as
3 a coordinator across USDA on pesticide regulatory
4 issues. Glad to be here. And I'm here representing
5 USDA.

6 JEFFREY CHANG: Ligia Duarte?

7 LIGIA DUARTE: Hi, everyone. My name is
8 Ligia Duarte. I'm a Senior Director of Regulatory
9 Affairs at the Household and Commercial Products
10 Association. HCPA is a trade association
11 representing companies that make and sell products
12 used for cleaning, protecting, maintaining and
13 disinfecting in homes and commercial environments.
14 And our mission is to protect, promote and enhance
15 the household and commercial products industry and
16 the consumers and workers who use our members
17 products. Thank you.

18 JEFFREY CHANG: Lisa Dreilinger?

19 LISA DREILINGER: Hi, everyone. Lisa
20 Dreilinger, Global VP of Regulatory at Arxada. We
21 are a global leader in preservation. Thanks.

22 JEFFREY CHANG: Manojit Basu?

23 (No response.)

24 JEFFREY CHANG: Marc Lame?

25 MARC LAME: Good morning, everyone.

1 Thanks for your participation. I'm Marc Lame. I am
2 a professor at Indiana University School of Public
3 and Environmental Affairs in Bloomington, Indiana.
4 I'm a medical entomologist and have some knowledge
5 of integrated pest management, which is something
6 I've been doing for about 40 years. I'm here
7 representing public health. Thank you.

8 JEFFREY CHANG: Mily Trevino-Sauceda?

9 MILY TREVINO-SAUCEDA: Yes, hello. This
10 is Mily Trevino-Sauceda. I'm the Executive Director
11 of Alianza Nacional de Campesinas. This is the
12 National Alliance of Farmworker Women. We have 18
13 member organizations and all led by -- they're all
14 women-led organizations. And another thing is that
15 we're in 20 states, and by next year, we're going to
16 be in 42 states representing farmworker women and
17 their families around the issues of pesticides.
18 Thank you.

19 JEFFREY CHANG: Nathan Donley?

20 NATHAN DONLEY: Hey there. Nathan Donley.
21 I'm based in Olympia, Washington. I am the
22 Environmental Health Science Director at the Center
23 for Biological Diversity and we're an environmental
24 nonprofit dedicated to protecting people and
25 wildlife from pesticide harm. Glad to be here.

1 JEFFREY CHANG: Patrick Johnson?

2 PATRICK JOHNSON: Good morning, I'm
3 Patrick Johnson. I farm in Tunica, Mississippi,
4 grow cotton, rice, corn, and soybeans, and I
5 represent the National Cotton Council on the PPDC.
6 The Cotton Council represents the seven segments of
7 the U.S. cotton industry. Thank you.

8 JEFFREY CHANG: Robert Nielsen?

9 ROBERT NIELSEN: Hi, my name is Bob
10 Nielsen from Bedford Golf and Tennis Club. I am
11 here representing the Golf Course Superintendents
12 association of America, which represents over 20,000
13 men and women who manage some of the most critical
14 community green spaces in the world. Thank you.

15 JEFFREY CHANG: Rosemary Malfi?

16 ROSEMARY MALFI: Hi, everyone. I'm
17 Rosemary Malfi. I am with the Xerces Society for
18 Invertebrate Conservation. I'm the Director of
19 Conservation Policy. We are a national science-
20 based nonprofit organization that's dedicated to
21 conserving invertebrate species, which are essential
22 for healthy ecosystems. I also have a background in
23 research and pollinator health. And it's great to
24 be with you all today. Thanks.

25 JEFFREY CHANG: Terry Kippley?

1 TERRY KIPPLEY: Good morning, I'm Terry
2 Kippley. I'm the President and CEO of CPDA. That
3 stands for the Council of Produce Producers and
4 Distributors of agrotechnology. We are a national
5 trade association located in Arlington, Virginia.
6 We represent over 75 companies that are in the space
7 of adjuvants or inert components that go into the
8 formulation of active ingredients, as well as the --
9 post-patent companies that manufacture those
10 products and distributors. We represent about 85
11 percent of the approximately \$3 to \$4 billion crop
12 protection market in the United States. I grew up
13 on a dairy farm in Wisconsin and ran a post-patent
14 chemical company before coming on board at CPDA
15 three years ago.

16 JEFFREY CHANG: Walter Alarcon?

17 (No response.)

18 JEFFREY CHANG: Wendy Sue Wheeler?

19 WENDY SUE WHEELER: My name is Wendy Sue
20 Wheeler, and I am the Director of the Washington
21 State University Pesticide Resources and Education
22 Program. The organization that I represent is
23 AAPSE, the American Association of Pesticide Safety
24 Educators. AAPSE's mission is to enhance public
25 health and the environment through involvement in

1 education, outreach, and research which directly
2 benefits pest managers, policymakers, and public for
3 nearly 2 million people across the U.S. This
4 includes farm laborers, backyard gardeners to inner
5 city and remote rural communities with education and
6 outreach each year. It's great to be here.

7 JEFFREY CHANG: Thank you to the members
8 of the PPDC for being here today and for your
9 service to EPA. I will now hand it over to Ed
10 Messina to give an update on the Office of Pesticide
11 Programs. Thank you.

12 ED MESSINA: Thanks again, Jeffrey.

13 (Pause)

14 OPP UPDATES: RECENT ACTIVITIES, ACCOMPLISHMENTS,
15 AND WORKLOAD METRICS

16 ED MESSINA: All right. So let's talk
17 about what the Office of Pesticide Programs did in
18 2024, and sort of the structure of the organization
19 and some of the amazing work that we completed.

20 All right. So we had a couple of
21 additions to the Office of Pesticide Programs. With
22 Mike Goodis' departure as the Deputy Director for
23 Programs, we recently brought on board Elizabeth
24 Vizard. She is now the new permanent Deputy
25 Director for Programs. Leo Gueriguian was also made

1 the permanent Director for Management. He was
2 brought on almost a year ago.

3 And Monique Perron continues to serve as a
4 senior advisor -- Senior Science Advisor; Catherine
5 Aubee, Senior Science Advisor for Endocrine
6 Disruption Screening Programs, which had a very
7 successful year in putting out policies related to
8 that program in our renewed effort to carry forth
9 the science there; and then Susan Jennings, our
10 Senior Advisor for Public Health, who was
11 instrumental in getting out the antifungal framework
12 and the white paper last year related to ensuring
13 that antibiotics and antifungal pesticides are
14 reviewed related to any potential resistance that
15 could occur in human drugs. So if you haven't seen
16 that announcement, that's an announcement we did a
17 little bit ago. And that's the immediate office.

18 There's other folks in the intermediate
19 office of Office of Pesticide Programs. Steve
20 Schaible, who's doing our PRIA work. We have good
21 laboratory practices, so lots of activity occurring
22 in the immediate office. Of course, the Endocrine
23 Disruptor Screening Program, which is part of the
24 immediate office in OPP. So just a couple of
25 changes there.

1 Antimicrobials Division. Anita Pease
2 continues to be the Director; Biopesticides
3 Pollution Prevention, Madison Le is well known to
4 the associations that that division deals with;
5 Billy Smith, Registration Division; and then Anne
6 Overstreet as Pesticide Reevaluation Division. She
7 had come over from the Biological and Economic
8 Analysis Division. So there was a vacancy there.
9 And we filled that recently with the permanent hire
10 of Don Wilbur, who is now the Director of the
11 Biological and Economic Analysis Division. Neil
12 Anderson had been doing an amazing job serving as
13 both the Director and the Deputy. He has now
14 returned to his role as the Deputy in that Division.

15 Jan Matuszko, Environmental Fate and
16 Effects Division, and then Dana Vogel, Health
17 Effects Division, rounding out the senior leadership
18 within Office of Pesticide Programs. So just a
19 couple of changes that occurred, wanted to make
20 people aware of.

21 In terms of priorities, they were, you
22 know, pretty consistent for '24. PRIA 5
23 implementation was top of the list, and we are
24 continuing with those priorities. And for '25,
25 we're really trying to continue some of the

1 activities that are in PRIA 5 that ask us to
2 complete many of the tasks that were accompanied
3 with the additional fee money that was provided, and
4 so really transparency, specifically transparency
5 for registrants related to where their actions may
6 be in flight and you know, due dates. We've, as you
7 know, been upgrading our information technology
8 resources and so we're hoping in the -- and we have
9 been doing some transparency. I've got some slides
10 that show that. And we're really trying to, in '25,
11 focus on creating additional transparency for
12 individual actions for registrants.

13 Of course, updating our IT is going to
14 continue and was a big priority for '24. We are, as
15 folks know within OPP, an office that relies on lean
16 practices and continuous improvement. So we had a
17 number of continuous improvement activities that
18 occurred in '24 and we're looking forward to, as
19 part of PRIA 5, having a third party come in and
20 examine our processes to suggest ways to improve
21 them and streamline them. And so we're hoping to
22 kick that off in '25.

23 There's also PRIA 5 requirements that
24 training for new OPP staff be pulled together by a
25 contractor. There are set-asides for that. So

1 we've got a contract that's going to help us bring
2 our materials together to ensure that OPP staff are
3 receiving great training.

4 And then, of course, bilingual labeling,
5 there's been a lot of activity in '24, and we
6 continue to have that be a pretty big '25 priority
7 where we'll start to see labels coming on board and
8 tracking the extent to those labels being
9 implemented and then also to the extent that those
10 labels are making their way to farmworker
11 communities that have access to bilingual labels for
12 pesticides.

13 The other priorities, obviously,
14 registrations, approving new registrations and then
15 registration review. I've got some future slides on
16 our progress there.

17 ESA efficiencies and progress on ESA
18 obligations. We're having a whole session on that,
19 so stay tuned for an update on all of our ESA
20 activities.

21 Obviously, for '24, environmental justice,
22 climate change, there were a couple of items that
23 were related to spray drift assessments that relate
24 to environmental justice, making sure that we're
25 adequately accounting for any spray drifts. So

1 there were some activities that were tracked under
2 those priorities. And then state of the art
3 science, new science issues, PFAS, obviously an
4 issue that we're tracking, Endocrine Disruptor
5 Screening Program and new approach methods are some
6 of the science topics that I'll cover a little
7 later.

8 Other priorities, rulemaking guidance
9 documents, the litigation that was occurring.
10 There's a lot of litigation that's starting to be
11 reduced a little bit, which is nice. And I've got
12 some slides to show some of the impact of the prior
13 litigation.

14 OIG, we've been pretty quiet lately in
15 terms of open investigations, but there's certainly
16 some implementation issues. We closed out an OIG
17 investigation related to conditional registrations
18 which was helpful tracking whether and how much we
19 were doing conditional registrations, really having
20 incentive to not do those where we don't have to,
21 and that was in closing out of the corrective
22 actions we completed for that OIG recommendation.

23 Petition responses continue to focus in
24 triaging and understanding which of those petition
25 responses are priorities. Obviously, the treated

1 seed petition response was a priority for '24, and
2 there was recently oral argument held on our
3 approach and response to treated seeds. We also had
4 the Advanced Notice of Proposed Rulemaking for
5 treated seeds. So that's related to our petition
6 response priorities.

7 Obviously, digital transformation and then
8 employee experience and organizational development.
9 I even have a slide later on about one of the
10 metrics that we're tracking of the hundreds that we
11 get for our EBS scores.

12 So a pretty big volume of work came in
13 last year. We had over 12,000 submissions that were
14 received through our front end portal. This
15 includes resubmissions as well. So when you break
16 it down to just PRIA and non-PRIA actions, we
17 received about 5,800 PRIA and non-PRIA actions.
18 I'll say that the 12,000 submissions I think is --
19 I saw different numbers and we're still working on
20 that, but I think it was almost 80,000 documents is
21 what those 12,000 submissions represent. It's over
22 50- and somewhere near 80,000 documents that are
23 related to that 12,000 submissions. So it just
24 gives you a sense of the breadth of work that came
25 in through our front end portal.

1 As I mentioned, 5,800 PRIA and non-PRIA
2 actions received. And then we actually completed,
3 for the first time in a while, more than we got in.
4 So we completed 8,700 PRIA and non-PRIA actions,
5 about 1,400 PRIA actions, including 428 gold seal
6 letters, and then 7,200 non-PRIA actions. The PRIA
7 actions were down based on historical numbers and
8 the non-PRIA actions were substantially increased in
9 terms of completions based on historical numbers.
10 I've got a graph that will show that later on.

11 We still have a pretty big backlog. We
12 have about 16,000 actions that are currently pending
13 in our system. So when you think about the, you
14 know, 12,000 submissions we got this year, the
15 overall total number of submissions we currently are
16 managing is 16,000. And that does not include
17 resubmission. So it's a total of about 2,000 PRIA
18 actions and 14,000 non-PRIA actions. So we've, you
19 know, got a pretty big backlog still. But that
20 backlog has been reduced, and I'll show a little
21 later on how that our efforts in non-PRIA has
22 reduced the backlog for non-PRIA actions.

23 We registered 20 new biopesticides active
24 ingredients last year. The Biopesticide Division
25 has a record number of new active ingredients that

1 they're managing, which represents a significant
2 workload. So we're pretty proud about the fact that
3 they were actually able to register 20 new
4 biopesticides.

5 The Registration Division proposed two new
6 conventional active ingredients that were compliant
7 or that considered Endangered Species Act. So, you
8 know, for the first time in many, many, many years,
9 we are actually, you know, issuing new active
10 ingredients that are considering Endangered Species
11 Act review. And then one new active ingredient from
12 Antimicrobial Division proposed so that they're --
13 you know, they don't tend to get a lot of new active
14 ingredients, but we're pretty excited to propose
15 through the Antimicrobials Division one new
16 antimicrobial active ingredient.

17 We had 37 Section 18s last year. I think
18 that goes to the nature of the emergencies that are
19 occurring out in the states. So we're pretty proud
20 about that work. That is above average. I think
21 last year we had about 25-ish Section 18s. So this
22 year represents more work for Section 18s. And then
23 we also helped our regional folks out with reviews
24 of products, about 80 products that were submitted
25 from regional offices and state partners to

1 determine compliance with device regulations and
2 determinations related to enforcement cases. So
3 pretty proud about that work.

4 Individually, just I'll leave these slides
5 for your later viewing pleasure. But RD -- the next
6 couple of slides are each individual Registration
7 Division and how much work they did in '24. 5,500
8 PRIA actions -- sorry, 550 PRIA actions for the
9 Registration Division. As I mentioned, the two new
10 active ingredients. 100 new uses approved as well
11 and then 445 PRIA new products and amendments, 26
12 inert actions, and then a record number of non-PRIA
13 actions completed by RD based on lean process
14 improvement approaches to look for ways to
15 streamline our non-PRIA reviews as dictated by PRIA.

16 700 product chem reviews, 500 acute
17 toxicity reviews, 28 efficacy reviews, 12 child
18 resistant packaging reviews. They launched
19 Salesforce in their system in September of last year
20 and then continued to develop, and then we published
21 the Notice of Availability announcing mitigation
22 measures for pesticide-flexible packaging pouches,
23 so one of the science issues that came out of RD.

24 AD, similarly, large number of actions.
25 335 PRIA actions including three new uses and three

1 Design for the Environment amendments, about 1,000
2 PRIA and non-PRIA acute toxicological chemistry
3 reviews and then 110 PRIA efficacy reviews and
4 closed out about 2,400 non-PRIA actions, including
5 notifications and fast tracks based on our
6 Salesforce metrics, which enables us to better track
7 where the work is.

8 And then BPPD, 145 PRIA actions, 26 new
9 active ingredient decisions, as I mentioned that
10 occurred, 10 new uses, three EUPs, 38 M009
11 determinations, 27 new product decisions, and four
12 biochemical classification decisions, and about 500
13 non-PRIA actions.

14 So how did we get all that done? We did
15 it with the budget that we got from Congress. I'll
16 give some folks a little deeper dive on, you know,
17 some of the budget issues associated with OPP. This
18 is something that PPDC members have expressed
19 interest in. This is not me asking anyone to lobby
20 Congress for additional money. This is just me
21 articulating the budget that we've received and sort
22 of some of the choices that we've had to make
23 because of the decreased budgets that have occurred
24 over time and just gives a window into, you know,
25 with all the work we have, we sort of have to make

1 some choices, including having this meeting
2 remotely.

3 So when PRIA 5 passed, the minimum
4 appropriations level was raised up to \$166 million.
5 The '23 budget did have an increase from historical
6 amounts to up to \$138 million, but the '24 budget
7 had a \$6 million cut. The President's '25 budget --
8 this is the prior or, you know, the current
9 President, there'll be a new President installed in
10 January, so the '25 President's budget was \$175
11 million, so even above the PRIA minimum in terms of
12 asking for resources for OPP.

13 And here's just a graph that shows the
14 prior minimum appropriations for PRIA was about \$126
15 million. Over time, Congress had not funded that
16 amount. So there was, you know, over many years,
17 tens of millions of dollars of, sort of, you know,
18 reduction that we received over those many years.
19 And then you can see that in '23, the bump-up up to
20 \$138 million, still shy of the \$166 million that was
21 the PRIA number. And then in '24, our budget was
22 reduced.

23 The other thing that's impacting OPP in
24 terms of dollars for our budget is we had projected
25 about a \$26 million fund from the PRIA fees, and

1 that was based on the increase that PRIA 5 had put
2 in place for the individual actions, about a 30
3 percent increase. But what has happened is we've
4 received less applications since PRIA 5 and the
5 amount of money collected was about \$17 to \$18
6 million. So we've got another -- in addition to
7 sort of having the \$6 million cut from
8 appropriations, we're sort of dealing with about a
9 \$10 million shortfall in what we had expected to be
10 collecting from PRIA fees.

11 And so that's where some of the next
12 slides will show the reduction in FTE if we hold
13 contract spending constant and then where we expect
14 to be with a 60 percent cut to our contracts budget
15 to maintain the appropriate level of FTE. Since
16 we've brought some folks on board and it's really
17 hard to train individuals and we really value the
18 staff within OPP and their expertise, holding on to
19 the FTE is important for us, in addition to getting
20 our work done.

21 The lack of the science contract support,
22 though, is going to greatly slow down our ability to
23 process applications because those contractors were
24 sort of the first place where the information was
25 arrayed in a manner that the OPP staff could access

1 it and sort of do a first cut so that the staff will
2 be having to do that, which will, you know, greatly
3 slow down some of the production flows that we have
4 within Office of Pesticide Programs.

5 If you look at the projected, let's say,
6 '25 budget as the same as '24, which depending on if
7 Congress appropriates a continuing resolution, if
8 they do that, then they'll probably do it at the '24
9 number. With increasing costs, that represents
10 basically a 5 percent cut to our budget. And so you
11 will see the FTE level that we can support in OPP
12 dipping below 500, projected to go down to 460 in
13 2026. That is if we hold the contract levels
14 constant.

15 What we intend to do is take a cut of, as
16 I mentioned, a 6 percent cut to contracts, and that
17 will enable us to have the FTE numbers about at the
18 557 level and going down to 540. The 557 was 2024.
19 So we'll be dropping that number by about 30 FTE in
20 2025. We intend to get there through attrition.
21 And so that's generally the number of folks that
22 leave OPP each year and then we generally would --
23 if we were backfilling, we would usually hire 30 to
24 40 people and we would lose 30 to 40 people. So we
25 will have a hiring freeze for '25 and also cut

1 contracts by 60 percent to address the budget that
2 we are anticipating for '25. If those conditions
3 change, then we'll change our projections.

4 This is a more detailed chart to show,
5 hey, Ed, why are your FTE numbers decreasing, even
6 though, you know, you got some money in '24, that
7 was higher than what had been previously given,
8 going from '25 --you know, 125 million to 132
9 million. And the answer in this chart is that
10 column that is just above the OPP Appropriations and
11 Fees number, which is the first bolded number at the
12 bottom in each column, and the row that is above
13 that is the PRIA 4 maintenance fee carryover. And
14 so we have been using that money in the past to
15 supplement our ability to support a higher level of
16 FTE.

17 As you can see from 2021 to our projected
18 2025 usage, that number is decreasing and has
19 decreased by about \$30 million. And so that is one
20 of the reasons why, although some of the
21 appropriations has increased, the FTE numbers for
22 OPP is decreasing. So this provides a somewhat
23 detailed flow of how the money comes in through
24 appropriations, how we send the money to the regions
25 and the states through the EPM and STAG funding,

1 some of the centrally funded accounts for IT that
2 supports Office of Program Support and Office of
3 Mission Support.

4 Then we get some additional money from the
5 Endocrine Disruption Screening Program. We get our
6 fees that we collect that are projected from the
7 FIFRA fees, from all the pesticides that are
8 currently in the marketplace, and then we have our
9 projections for what we're going to collect from the
10 new submissions under PRIA fees, plus that
11 maintenance fee for carryover, and that gets you, in
12 2021, what amounted to \$175 million total OPP
13 appropriations and fees. And you can see that in
14 2025, that number has decreased down to \$152
15 million, thus the decrease in FTE from about 600 to
16 543 and, as I mentioned, going down to 400-and-
17 change with the contract cuts supporting a higher
18 number.

19 We've also been paying a decent amount of
20 money to settle the lawsuits. So in 2022, we paid
21 about \$300,000 in fees to settle the lawsuits.
22 Those are attorneys fees after we indicate that, you
23 know, we have completed the case and people seek
24 attorney's fees. In 2023, it was a million dollars;
25 in 2024, it was about \$1 million; and in 2025, we're

1 projecting some of the cases that we recently
2 settled about 1.2 million and counting. So you
3 think about the hit we take there.

4 It's important, and I show this slide to
5 understand that it is important for EPA to propose
6 registration actions that are legally defensible
7 where we have an argument that we have completed our
8 Endangered X Species Act review requirements and
9 also our Endocrine Disruption Screening Program
10 requirements. So if we haven't completed those and
11 people sue us on them and we don't have an adequate
12 defense, then basically we'll be paying attorneys'
13 fees for the cases that we lose. And this is the
14 historical representation of what that's looked like
15 for the last three years and projected for 2025.

16 This is the last slide I wanted to talk
17 about in terms of budget, but it sort of represents
18 another way of looking at the inflation-adjusted
19 pesticide funding that has occurred over the years.
20 So although there were some increases in PRIA 5 --
21 and we appreciate PRIA 5 passing early and
22 appreciate industry's agreement to increase the per
23 funding amount for each individual applications --
24 the total funding for OPP on an enacted inflation-
25 adjusted number, which is that yellow line, has

1 actually decreased over time and that's because the
2 costs of the computers, the lights, all the things
3 that support the full-time employee and FTE,
4 including salaries, has increased over time.

5 So when you look at the -- over time, you
6 can see that the President's budget, that purple
7 line, was generally decreased starting in 2017,
8 started increasing in 2019, has been increasing in
9 terms of the proposed President's budget. The
10 enacted has been the red line that's been fairly
11 flat over time. You can see the pre-PRIA 5 trigger
12 in that green line and then you can see the PRIA 5
13 trigger going up to the \$166 million trigger and you
14 see the President's budget going above that for '24.
15 However, the actual enacted in that red line has
16 looked fairly constant with a bump and then a
17 decrease. But that yellow line, which is the
18 inflation-adjusted line, has actually been -- in
19 real dollar terms, our budget has decreased since
20 2012 pretty consistently over those many years.

21 All right. Let's talk about all the
22 things we did for PRIA 5. So there's a website that
23 you can go to and visit and all the deliverables
24 that are in PRIA 5 and how we've completed each one
25 of them, you know, 20 or 30 different things that

1 are in PRIA 5 that I won't go into today.

2 Some of the highlights are putting out a
3 PRIA annual report. We issued that in 2023.
4 Reducing the non-PRIA backlog, there were lots of
5 efforts there. I've got some charts that show what
6 that looked like in reality. IT modernization
7 efforts, bilingual labeling, launching the Vector
8 Expedited Review Voucher Program, or VERV, and then
9 the DER process implementation. So if you visit
10 that website, there's plenty of information on all
11 of our completions.

12 We had set-asides to develop and
13 administer training to EPA staff. We're developing
14 a grant program to compete in '25 and the contract,
15 as I mentioned, that we're hoping to complete very
16 soon. We had continuation of the existing
17 cooperative agreements, including the Pesticide
18 Safety Education Program cooperative agreement and
19 new partnership grant for the National Pesticide
20 Information Center. There were new set-asides for
21 farmworker training, you know, about \$10 million to
22 support these programs, healthcare clinician
23 training, and grant technical assistance cooperative
24 agreements.

25 We requested stakeholder input on the

1 program design for both the farmworker and
2 healthcare provider training grants. So that was
3 well received. And then as I mentioned, we will be,
4 in 2025, inviting a third party to audit OPP's
5 procedures related to our workforce assessment and
6 implementation.

7 The digital transformation continues. It
8 was, I would say, you know, given some of the
9 hiccups we had in 2023 with the servers going down
10 and the backlog in the front end, we've still
11 experienced some of that, but it's been reduced in
12 24, but still existing. And that's in part because
13 we have some pretty old servers that need to be
14 modernized and moved to the cloud with new software.
15 That is a year-long project that is, you know --
16 still we're paying the debt, the technical debt that
17 exists, you know, that is built over time for
18 failing to upgrade these IT systems over many years.
19 So we're finally tackling that issue.

20 We're hoping and, you know, there -- our
21 big four categories for digital transformation
22 include a new portal for registrants. Hoping to see
23 some of that in the beginning of 2025 in January.
24 There's been some discussions and there will be some
25 kickoffs in December and there's already been some

1 conversations around this.

2 The e-CSF and e-label project, you're
3 going to hear from the Label Team subworkgroup for
4 PPDC about some of the, I would say, ground setting
5 that's going to help us make an e-label successful.
6 So those are really connected and it's something we
7 want to continue in 2025.

8 DCI Modules, sending and receiving and
9 tracking progress on information requests
10 specifically related to the Endocrine Disruptor
11 Screening Program, which enabled us to settle
12 potentially. You know, we put out a proposed
13 settlement of that case where they were interveners
14 as well from industry. So we're hoping that puts us
15 on a path to comply with the Endocrine Disruptor
16 Screening Program and do that analysis.

17 And then improving our analytics,
18 modernizing performance metrics, identifying the
19 needs. I think the big topic on transparency for
20 '25 is going to be the portal. But with the portal
21 comes the need to understand, within the science
22 divisions, how long their work is taking so that
23 they can better surface that to the registering
24 divisions, like RD, to understand how long RD might
25 have to provide a -- you know, not a new PRIA

1 deadline because that was changed in PRIA 5, but, at
2 least, some indication of when an expected
3 completion date might be with some error bars around
4 that, obviously, to take into account, you know,
5 hiccups that occur along the way.

6 But our big focus is really going to be
7 using the Salesforce system to implement that within
8 the science divisions to provide industry with a
9 better -- better information about when products
10 might be expected to be due. And we've already
11 provided some dashboards that provide some analysis
12 on how long each of the individual PRIA codes are
13 taking and how many of those things we have in-
14 house.

15 So here's a timeline for some of the major
16 transformation projects we are undertaking. I will
17 say we did not put any new FY '25 dollars into our
18 budget. We are only using '24 money. It is
19 possible that we run out before the end of the
20 fiscal year and it is possible we have some stop
21 work. But we -- as you can imagine, we were already
22 cutting the science divisions by 60 percent and the
23 science contracts. So we didn't feel like we had
24 additional money to put towards the IT development,
25 even though it is important. We had some -- we're

1 just going to use the money that was Left over from
2 2024 to continue these major transformation
3 projects.

4 So the big thing on the application
5 experience, this is, you know, one of the four
6 things. I just have this as an example of the
7 various steps that occur. We have one of these for
8 each of the four main areas. But we've got scoping
9 requirements, gathering, deployment, and then
10 deployment and redeployment. We're using agile
11 development, so we're going to be putting out
12 minimal viable products. They will be a first run
13 at it and then we'll continue to take comment and
14 iterate and improve on the system.

15 So, you know, the first time you see it,
16 it may not be the best thing you've ever seen, but
17 as people start using it and we're able to rapidly
18 deploy and issue new updates, the functionality will
19 improve over time. And as it has in many other
20 areas where we've deployed these digital
21 transformations, we just continue to add new
22 functionality.

23 We were going to try to do, you know,
24 eight to nine releases of new functionality for '25,
25 but with the budget constraints, we're probably

1 doing maybe three to four releases for '25. So just
2 an example of some of the impacts from the budget
3 cuts.

4 All right. So here's an example of some
5 of the, you know, metrics. You can see there's
6 many, many dashboards. I just pulled out a couple.
7 But what this is showing is the non-PRIA
8 notification and amendments closed versus received
9 in each quarter.

10 So starting in the most recent quarter,
11 which is the fourth one of 2024, on the federal
12 fiscal year ending -- it's on September 30th -- you
13 can see we, for the first time, did more non-PRIA
14 actions than we received. So the green line there
15 is above the red line. And that started happening
16 in the third quarter of 2023, which is great news,
17 and you can see that.

18 Before that time we could never do more
19 than what we received. We always did less than what
20 we received. So the backlog that exists for non-
21 PRIA actions is actually the area that's under the
22 red line and above the green line, and you can see
23 how we got a pretty large backlog.

24 Similarly, for PRIA work, it's been up and
25 down, but this is basically every quarter back to

1 the first quarter of 2020, ending with the fourth
2 quarter of 2024. There was a number of quarters
3 where we actually completed more PRIA work than we
4 received. And you can see the slow downward trend
5 of PRIA actions received. And you can also see the
6 downward trend of PRIA actions completed as well.
7 So that's slightly different from the non-PRIA work.
8 But, you know, indicates that we're -- for many
9 months and many quarters, we were actually
10 completing more than we received for PRIA work.
11 Obviously, you know, there's a backlog that exists.

12 And the next slide demonstrates this
13 backlog and that the backlog is decreasing, but
14 there's still a backlog. So you can see that in
15 that top chart, total pending cases at the beginning
16 of FY25 through FY21. So that was total pending
17 cases. So the bottom yellow line shows in '21 we
18 had 18,000 cases in-house that was left after we
19 had, you know, received and completed all of our
20 work. So the backlog was about 18,000 actions.
21 That increased in 2022 to 20,000 actions and then
22 '23 to 22,000 actions. So you can -- you know, the
23 backlog was just becoming insurmountable.

24 And thanks to the efforts, process
25 improvements largely focused in Registration

1 Division and also in AD and also in BPPD, we reduce
2 the backlog or total pending cases that existed at
3 the beginning of the fiscal year down to 19,000.
4 And now in '25, we're down to 16,000. So a pretty
5 substantial reduction. Still 16,000 pending cases,
6 that's a lot of work. But you can see we're finally
7 starting to reduce the backlog of total actions.

8 That is different from pending PRIA cases,
9 where you can see starting in '21, it was at 1,400,
10 and then over the years, it was about 1,500, and
11 then '24 was 1,900, and now we're at 2,100 in terms
12 of total pending PRIA cases at the beginning of the
13 fiscal year over the last five years. But the total
14 backlog is decreasing; the PRIA backlog is
15 increasing.

16 And this is just another way to represent
17 that. And really it was -- you know, the Salesforce
18 data that surfaces some of this information, you
19 know, we sort of knew it and we had some Excel files
20 that showed us, you know, where these backlogs were.
21 But, you know, when you visualize it as these are
22 part of lean process improvement parts is when you
23 visualize that data and you can really see, you
24 know, where the backlogs are, where are the late
25 actions, how do we clean out the backlog for late

1 actions, how do we focus. You know, RD did about 17
2 different process improvement techniques to reduce
3 the non-PRIA backlog and pretty impressive work.
4 And it's just shown in these charts pretty readily.

5 This is another way of looking at the
6 total PRIA cases completed and the average days
7 late. So when you look at 2020, we completed about
8 2,600 PRIA actions and the average days that those
9 items that were completed were late was about 37
10 days past the PRIA deadline. We are now, on
11 average, you know, we are completing less PRIA
12 actions. So 2024, the 1,400 that were completed.
13 And the average days late for those PRIA actions
14 that were completed was 133 days late and so just
15 another way. And, right now, in 2025, we've already
16 completed 132 actions and the average number of days
17 that those 132 actions accounted for was -- we were
18 154 days past the PRIA deadlines.

19 All right. So let's talk about, you know,
20 what are we doing, what were some of the notable
21 process improvement activities for OPP. As I
22 mentioned, we reduced the non-PRIA backlog equated
23 to, you know, 1,750 in '23 and 3,500 in FY24.
24 Pretty impressive work.

25 BPPD also analyzed data from about 1,000

1 deficiencies in their 10- and 75-day letters and
2 they cohosted an industry workgroup to provide
3 information on common mistakes in applications to
4 improve the submission quality, to hopefully, you
5 know, improve the packages so that they can be
6 successfully approved and there isn't time wasted on
7 getting better packages, so one of the aspects that
8 for that lean process improvement approach.

9 There's the label implementation program.
10 It allows AD Reevaluation Branch to review and
11 approve AD product labels with registration review
12 label implementation all within the branch, allowing
13 other branches to focus on the registration actions.
14 So that was one activity that was undertaken.

15 There was the Tolerance Rulemaking Process
16 and tracking updates that PRD implemented
17 improvements to those tolerance rulemaking process
18 and launched an internal tolerance tracking database
19 creating efficiencies and consistencies not only
20 across PRD, but the OPP divisions for tolerance
21 rules.

22 I put this slide out here, too, because in
23 terms of the workload, this is one of the questions
24 from the EVS survey that is administered every year
25 to all employees across government. This is OPP

1 slice of the answer to the question. My workload is
2 reasonable and only, you know, just above 40 percent
3 of the people who responded indicate that, yes, my
4 workload is reasonable. So 60 percent of the folks
5 believe their workload is unreasonable. That is way
6 worse than EPA as a whole and we are also worse in
7 terms of the office. So individually, OPP
8 unfortunately wins the award for staff indicating
9 that they have a pretty high workload and that their
10 workload is not reasonable.

11 So you know, all of the process
12 improvements, all of the IT upgrades that we've been
13 undertaking, the goal has first been to help
14 employees manage their giant workload, help the
15 systems manage it in a way that takes the
16 administrative burden of managing their workload off
17 of their plates. And then as we continue to
18 implement more automation within the system, things
19 like automatic letter-generating techniques, we're
20 hoping to, you know, increase the ability for staff
21 to manage their workload.

22 So I included this slide just to give a
23 snapshot of, you know, what is happening within OPP,
24 you know, how incredibly hard the staff and OPP are
25 working and the incredible volume of work that they

1 have to manage.

2 Pesticide Registration Review, obviously,
3 one of our main priorities. We have a 2026 deadline
4 coming up. As of September, end of the fiscal year,
5 we were about 91 percent of the way done with the
6 draft risk assessments and we're about 80 percent of
7 the way towards final or interim decisions that
8 remain.

9 So as you know, we -- this is a very
10 public process. We do three different comment
11 periods, the preliminary work plan, the draft risk
12 assessment, and the proposed interim decision. And,
13 obviously, as we are also administering and trying
14 to address our Endangered Species Act obligations,
15 there will be proposed biological evaluations from
16 EPA and proposed biological opinions for the
17 services, and then that will eventually get wrapped
18 up into the Pesticide Registration Review cases and
19 will hopefully, at some point, in cooperation with
20 the Endocrine Screening Program, be able to issue
21 final decisions. That's our goal at the end of the
22 day, is to issue more final decisions.

23 And so this represents obviously a huge
24 volume of work. You know, the draft risk
25 assessments, the proposed interim decisions, the

1 interim decisions, all the science that goes into
2 each of these voluminous documents, responding to
3 comments, working with registrants to reduce risk
4 where it's identified, mitigating labels where it's
5 important to mitigate, and in some cases, removing
6 uses that no longer meet the safety threshold for
7 FIFRA or FIFCA.

8 In terms of our transparency, we continued
9 to focus on following the law, following the science
10 and being transparent about it. Last year, we did
11 83 OPP updates. It's in line with the increase in
12 OPP updates we've done over the many years. Last
13 year we did 96; the year before that was 66; and
14 then our record COVID year was about 99 -- was
15 exactly 99 OPP updates. But we continue with our
16 transparency.

17 At the end of this slide deck is every OPP
18 update that we published since the last PPDC. So
19 you can look at those after I present it.

20 And these are some of the notable OPP
21 updates we had. 4/24, if folks were following, we
22 issued an emergency order to suspend the chemical
23 DCPA to address hazards to unborn babies and
24 pregnant mothers. So that was an emergency order.
25 First time in 40 years that the agency had issued an

1 emergency order. We were working well with the
2 company that owned this chemical, but we couldn't
3 find a way to address the risks that were
4 identified. And much of the time the uses that do
5 get removed from labels -- and this happens a lot --
6 is worked through voluntary conversations with
7 registrants which occurs through the PID stage,
8 mainly for registration review.

9 So there's a lot of work that goes into
10 managing the risks of pesticides and approving new
11 ones and also looking at the existing ones to
12 address any newly identified hazards.

13 We did additional sulfuryl fluoride safety
14 measures as well to prevent deaths and serious
15 injuries when people reenter their homes after
16 necessary fumigations for infestations. We, as I
17 mentioned, created new PRIA 5 funding opportunities
18 for pesticide safety education. There was new
19 bilingual labeling requirements that were updated.
20 We published final revisions to the Worker
21 Protection Application Exclusion Zone provisions.
22 That was part of an Executive Order mandate. And
23 we, as I mentioned, we completed the advanced notice
24 of proposed rulemaking to determine how to regulate
25 treated seeds.

1 We issued draft risk assessments for
2 formaldehyde, final efficacy test methods for
3 Legionella in cooling towers. We modernized our
4 disinfectant lists. We reset the activation of the
5 Emerging Viral Pathogens Policy to address Mpox and
6 new outbreaks of Mpox in Central Africa and allowing
7 Emerging Viral Pathogens Claims.

8 We expanded the human health spray drift
9 analysis to new registration decisions, allowing the
10 agency to provide human health protections to a
11 wider range of pesticide regulatory decisions. And
12 then, of course, in keeping with our desire to
13 complete human health risk assessments for
14 organophosphates, we completed an updated draft
15 human health risk assessment for dimethoate and
16 malathion.

17 We issued the world's first sprayable RNA
18 biopesticide that is targeted towards a particular
19 beetle. So that was a pretty notable science
20 activity for BPPD and for OPP, the first registered
21 one in the world. So there were lots of
22 conversations with our international partners about
23 this and that was put out in '24.

24 We had a federal advisory for beekeepers.
25 Of course, we developed ESA approaches for

1 biopesticides as well. So in addition to the items
2 that we frequently talk about and all the
3 strategies, we've been also continuing to work on
4 ESA for biopesticides as well.

5 We looked at, as I mentioned, many M009
6 determinations. Those are PRIA determinations where
7 companies can seek input from the agency about the
8 extent to whether something is required to be
9 registered or not. So we had some documents around
10 peak plant growth regulators, plant-incorporated
11 protectants. We developed an interactive web-based
12 tool for modified microbes working with USDA. We
13 released two PFAS analytical methods to detect PFAS
14 in pesticide products and we developed and published
15 the interagency framework on antifungal and
16 antibacterial resistance, as I mentioned.

17 Here's a bigger slide, more information on
18 our endocrine work. Very proud of this work. In
19 addition to doing the white paper, in addition to
20 doing the strategy, we've updated the list of
21 conventional pesticide active ingredients that have
22 adequate estrogen and androgen data for humans.

23 We identified 111 conventional pesticides
24 with updated two-gen reproductive toxicity or
25 extended one-gen reproductive toxicity studies, and

1 then we continue to prioritize and actually where
2 data is not obtained or we do not have, we issued 49
3 DCIs for the 23 Group 1 chemicals and Salesforce
4 helped us do that. We were able to -- you know, new
5 tracking system there. We hadn't been able to issue
6 DCIs in, you know, a little over a year just because
7 the old IT system that we had didn't support it and
8 there were many areas that were broken. So rather
9 than just fixing the old system, we developed some
10 new functionality in the -- as part of the digital
11 upgrade for Salesforce. That is an example of some
12 of the automation that translates to all aspects of
13 OPP.

14 There's an ESA update coming later on in
15 the talk, so I'll leave this for further reading.
16 But I'll just briefly mention herbicide strategy,
17 insecticide strategy, Vulnerable Species Action
18 Plan, work on our PULAs. We continue to do
19 biological evaluations and we also continue to work
20 on our strategy for Hawaii and then ESA guidance to
21 registrants. But we'll have a further session on
22 ESA later.

23 Also, IPM, an important topic, that our
24 IPM center hosted eight webinars. We reached about
25 11,000 attendees and responded to about 2,800 calls

1 and emails related to integrated pest management.

2 We increased the email distribution on IPM for folks
3 that are interested to about 40,000 subscribers, and
4 we've worked with industry on PRIA and non-PRIA
5 information on the quarterly stakeholder meetings,
6 and staff have participated in many projects and
7 conferences on IPM throughout 2024.

8 And then there's a link to our working
9 effectively with EPA's Office of Pesticide Programs.
10 The PRIA coalition put that together for their
11 members and we shared that with our staff for how
12 registrants can seek to work more efficiently with
13 the Office of Pesticide Programs. So we linked that
14 and that was -- appreciate the RISE and PRIA
15 coalition members for putting that webinar on. So a
16 shout-out to the some of the stakeholder engagement
17 that occurred in '24.

18 Lastly, crop tours, a very important part
19 of OPP work, visiting growers where they are, you
20 know, meeting them where they are and talking about
21 their needs. We actually were able to -- there were
22 20 grow groups that showed interest. We were able
23 to satisfy 17 of those. We sent 242 staff out on
24 crop tours. 100 of those were local tours, so, you
25 know, Maryland, Pennsylvania, you know, DC. So we

1 were able to, you know, use our travel dollars
2 efficiently by doing local tours. So this was
3 higher than last year. Last year was about 196
4 staff that we sent out. This year we were able to
5 send out more. Lots of discussions around ESA
6 challenges, which was great and -- you know, for
7 some of the tours that we had.

8 Our budget next year is probably going to
9 not allow us to support these important crop tours
10 as much as we had. But we'll make sure we get to
11 send folks out.

12 So some notable ones, we have the
13 Rodenticide Tour hosted by the Colorado Department
14 of Agriculture, Wyoming Department of Agriculture,
15 the Wyoming Weed & Pest Council, and then EPA Region
16 8, Denver, Colorado and Douglas, Wyoming; the
17 Florida Fruit and Vegetable Association tour in Fort
18 Myers, Florida in March; September was the Wild
19 Blueberry Commission of Maine in Bangor, Maine; and
20 then June was the Aquatic Ecosystem Restoration
21 foundation tour in Fort Myers, Clewiston and
22 Orlando. We had the Michigan IPM tour in Southwest
23 Michigan. There was the June tour, the North Dakota
24 Grain Growers Tour that was in the middle there. We
25 have the Snake River Sugarbeet Association in Idaho;

1 IR-4 in Pennsylvania; California Specialty Crops
2 Council in Southern California; and then the Cotton
3 Foundation in Memphis, Tennessee in August. So lots
4 of great educational opportunities for our EPA
5 staff.

6 So if you haven't already and you want to
7 sign up for all the OPP updates, some of what I
8 touched on today, but not all, hard to believe,
9 there's still more to talk about, but I'll -- you
10 know, I'll save some times for some time for a
11 conversation around this, but please sign up for our
12 pesticide updates.

13 And then at the end of this slide deck
14 there's another 30 or 40 slides on the OPP updates
15 that have occurred since the last PPDC meeting and a
16 link to each one of them with sort of bullets on the
17 various activities that OPP has engaged with.

18 So with that, I'll stop sharing my screen
19 and open it up to a discussion of the PPDC members.
20 Thank you for listening to me for so long. I
21 apologize for the long presentation, but as you can
22 tell, lots of incredible work, once again, for the
23 staff within the Office of Pesticide Programs that
24 I'm honored to be a part of.

25 JEFFREY CHANG: Thank you, Ed.

1 Now, the PPDC members will have time to
2 discuss amongst themselves what was presented.
3 Please use the raise hand function and I will call
4 on you in the order that you raised your hand.
5 Please state your name and affiliation again and
6 just speak slowly for the translators. Thank you.

7 All right. First up, we have is Nathan
8 Donley.

9 NATHAN DONLEY: Great. Thanks, Jeffrey.
10 And thanks for the overview, Ed. And, you know,
11 before jumping into a few things from your talk, I
12 kind of want to address the elephant in the room,
13 which is the election. And, you know, I know this
14 is not the appropriate forum to discuss politics,
15 and I certainly won't, as difficult as that may be.
16 But, you know, being a federal advisory committee,
17 we've all, to some degree, worked with federal
18 employees in our work. You know, as many of you
19 know, I have been -- I'm getting some feedback.

20 Yeah, I've been and, you know, I continue
21 to be kind of critical of how the institution of OPP
22 works and the decisions that are made there. But,
23 you know, that in no way trickles down to the
24 individual public servants who work there. Over the
25 years, I've communicated with and gotten to know

1 many OPP employees that I know to be hard workers
2 and very earnest people and who got into this line
3 of work to genuinely make our society a better
4 place.

5 And, you know, through no fault of their
6 own, federal employees now find themselves in a
7 position where they will be taking orders from the
8 top down, almost certainly from people who think the
9 Federal Government should be dismantled to some
10 extent, particularly EPA, and that your job is not
11 worthy of investing in or even retaining for that
12 matter. And I've never been unfortunate enough to
13 work in an environment that toxic before. So any
14 words of encouragement I have are going to sound,
15 you know, kind of desperately hollow.

16 But I just want to recognize the turmoil
17 that's consumed your professional lives, your
18 personal lives. You know, this is how you make your
19 living and feed your families and the strain that
20 you are all going through right now, you know, you
21 don't deserve this and no one does. And for those
22 of you who stay at the agency, who stick with it --
23 and I hope many of you are able to -- even though
24 things are going to get really heated and maybe a
25 little dark this next four years, you know, just

1 know that your presence and your work is important
2 and it's valued by so, so many people in this
3 country. So, you know, for whatever it's worth.

4 And, you know, jumping into some of the
5 issues here, I really want to give EPA credit for
6 its actions on DCPA. It was a really strong action
7 and it was justified. I do want to offer one note.
8 It took about 10 years from the original data
9 calling that was issued to when the agency had
10 decided to cancel and, meanwhile, future human
11 beings in the womb were being harmed. And I just
12 hope that the agency can reflect on what happened
13 here and learn from it, and in the future when
14 companies are cynically stringing the agency along
15 with continued failure to provide much needed data,
16 that the EPA enforce those requests in a much more
17 timely manner because this didn't have to take a
18 decade and it really shouldn't have taken a decade
19 to accomplish.

20 And then I was hoping you'd touch on this
21 in your talk, but you didn't. But I want to just
22 mention something quick about atrazine and -- you
23 know, clearly it's EPA's opinion now that 9.7 parts
24 per billion is protective of aquatic plant
25 communities in the water, and I strongly disagree.

1 But even giving EPA the benefit of the doubt here
2 that 10 parts per billion is protective of aquatic
3 plants, aquatic species, in general, are most
4 certainly not. And this is not just my opinion.
5 This is the consensus opinion of the 2012 Atrazine
6 FIFRA Scientific Advisory Panel.

7 EPA asked the panel point blank whether a
8 CELOC of 4 to 7 parts per billion was protective of
9 aquatic animals, and the Panel unequivocally said
10 that cannot be supported by the available data. So
11 that was four to seven parts per billion. And now
12 since the CELOC is going to raise to basically 10
13 parts per billion, there's going to be considerable
14 gaps and protection for aquatic animals. And EPA
15 now has to mitigate that harm in other ways. That's
16 just kind of the consequence of having a really high
17 water standard water quality threshold. And that
18 doesn't even count the further ESA mitigations that
19 are now going to be needed throughout much of the
20 Midwest as well with this unprotective CELOC.

21 So I hope the agency is thinking about
22 this. Fish and amphibians are getting hit hard by
23 this poison and, you know, we need EPA to really do
24 something about this here.

25 And one last quick thing, Syngenta's

1 request to suspend the Atrazine Ecological
2 Monitoring Program is meritless, and I hope EPA will
3 deny that request immediately.

4 That's all for me. Thank you.

5 ED MESSINA: Thank you, Nathan. Other
6 comments from PPDC members?

7 Mily?

8 JEFFREY CHANG: Mily, you're welcome.

9 MILY TREVINO-SAUCEDA: Yeah, thank you,
10 Nathan. The farmworker community is also very
11 concerned. And maybe -- I mean, you opened it up,
12 Nathan, so I'm just going to add a little bit. This
13 is -- in its past administration -- and I'm sorry,
14 I'm not going to name the person that's going to
15 take over the presidency -- there's a lot of things
16 that go in my mind when I think about that person,
17 so I'm just going to say it.

18 When he had his past administration
19 governing, there was a lot of issues that happened
20 within our communities and there were several rules
21 and regulations that were approved in 2015 to start
22 under the Worker Protection Standards. And what his
23 presidency did was -- or his administration did was,
24 you know, turn back a lot of that work that had been
25 done that the administration had approved in terms

1 of better regulations that would improve protection
2 to farmworkers. And it went as far as lawsuits
3 during that administration.

4 And, right now, this administration had to
5 deal with -- and I know that EPA had to deal with
6 many things that were just not dealt, in my view, in
7 the right way. And we are concerned about what will
8 happen this time, because if we already have a lot
9 of issues that are happening with farmworkers, it
10 will not only continue, but it -- we had acquired
11 protections, we feel that we're going to lose some
12 of those protections and we're kind of worried about
13 that.

14 And I just wanted to include that I agree
15 with everything that Nathan was talking about and
16 feel that we will be here, we're not going to go,
17 and we will be calling on things that we see that
18 are not right based on the lives of human beings.
19 And this is not just about farmworkers being
20 poisoned within the workplace, which is already a
21 lot, but also communities that live around
22 agriculture, which have been affected many, many
23 times and the nature has been affected.

24 So everything that you were talking about,
25 Ed, was very important, and everything that EPA has

1 gone through and what workers from EPA or OPP will
2 have to deal with with this new administration. So
3 we're here and, in my case, I'm going to be around.
4 Alianza is going to be around. We are going to be
5 monitoring in all these places that I say we're
6 going to be representing.

7 Thank you.

8 ED MESSINA: Thank you, Mily.

9 Hardy next.

10 HARDY KERN: Thank you, Ed. And I want to
11 say thank you so much for the update. I'd love to
12 echo everything that Nate and Mily have both just
13 said in terms of thanking everyone at EPA,
14 especially civil servants, for continuing to do such
15 a difficult job. And I also like to give a special
16 shout-out to all the work that has gone into
17 Endangered Species Act compliance and the planning
18 around that. I'm really excited to hear more about
19 that soon and talk more about that.

20 And I've got two things for the wider
21 group. Number one, with the -- you know, from a
22 wildlife perspective and Endangered Species Act,
23 there's been so much progress that's been made by
24 EPA over the last couple of years with a ton of
25 input from everyone on this call and everyone in our

1 communities and I think it's really important that
2 we not let all that progress backslide, that we stay
3 on top of it and make sure that the strategies that
4 have been developed get put into place, that the
5 front-loaded, front-ended, if you will,
6 consideration of impacts on species are still what
7 happens as we're registering and going through
8 registration review.

9 I think there's a lot of ways folks in
10 this group can work together on that, and I just
11 think it's really worth all of our time and all of
12 our interest to make sure that that stays where it
13 is and also that we don't -- we can work together to
14 find a way to make sure that OPP is not completely
15 steamrolled and gutted in the future. I think
16 there's a lot of opportunities for these groups to
17 work together outside of these meetings as well to
18 do that. So this is a great facilitation space.

19 And I wanted to ask in general if anyone
20 else on PPDC with the field visits what that
21 experience has been like and what would be the value
22 in making a case for those keeping up, moving
23 forward, because especially as we're seeing these
24 ESA strategies rolled out, I think that could be a
25 really interesting tool. So if anyone here has

1 insight on that, I'd love to hear now or, you know,
2 you can shoot me an email as well, whatever you'd
3 prefer.

4 Thank you.

5 ED MESSINA: Thanks, Hardy. I don't know
6 if it was Kimberly or Anastasia who had their hand
7 up first.

8 ANASTASIA SWEARINGEN: Kimberly was before
9 me.

10 ED MESSINA: Okay, thank you, Anastasia.

11 KIMBERLY NESCI: I wasn't sure, but thank
12 you, Anastasia, for noticing. And I don't know if
13 you want to respond to Hardy's question about the
14 crop tours, crop tour funding before I ask.

15 ED MESSINA: I'll probably -- I'll do a
16 sum of kind of all the things that I've heard and
17 give you my reaction.

18 KIMBERLY NESCI: Okay, great, thanks. So
19 I'm hearing what people are saying, what Hardy and
20 Mily and Nate have all said about important things
21 -- things that EPA is doing that are really
22 important to them and really are important, I think,
23 to all of us. What I'm wondering is whether,
24 considering the percentage reduction in FTE for OPP
25 -- and I expect that there will be -- based on that,

1 there seems to be like that there will be a need for
2 some things not to get done or some things not to be
3 prioritized.

4 What I'm wondering is if, you know, even
5 despite all of our different perspectives, if there
6 are some things that we can all agree to that are
7 important for EPA to maintain, to continue to
8 happen. And I don't necessarily think we need to
9 discuss that in detail at the moment, but it might
10 be something that we think about all along for the
11 course of the meeting because it seems pretty clear
12 that EPA, if not OPP in particular, is not going to
13 be able to get all of the things done that it has
14 been doing to date.

15 ED MESSINA: Thanks, Kimberly.

16 Anastasia?

17 ANASTASIA SWEARINGEN: Hi. Oh, my
18 camera's at a weird angle. Hi. Thank you so much
19 for the update, Ed.

20 I just want to echo what the others have
21 been saying about, you know, we continue to be so
22 impressed with how much you are willing to engage
23 with stakeholders and your openness to discussing
24 these issues. I think it's a really challenging
25 budget situation that's clearly not going to get

1 better. So I think Kimberly's suggestion about, you
2 know, how can we come up with some things that are
3 the most important for us to get accomplished is a
4 great one.

5 From the industry perspective, you know,
6 continuing to see those actions move through the
7 non-PRIA and the PRIA process are top of mind for us
8 and we really appreciate the engagement that the
9 leadership teams have been having and talking about
10 process improvements and ways that we can be
11 supportive and help these things move forward. So
12 just giving that perspective from industry and
13 thanking you again for your presentation today and
14 looking forward to the rest of the discussion with
15 the other updates later today.

16 JEFFREY CHANG: We have Kim Brown on the
17 line.

18 KIM BROWN: Hey, I'm sorry, I cannot find
19 my raise hand function, but anyways I wanted to
20 address the field tours and just say that we hosted
21 -- the Cotton Council came and brought EPA folks
22 here to Jackson, Tennessee, and we had a really
23 great experience, great dialogue with them for a
24 half a day. And then the year before we also hosted
25 full SFIREG with some EPA folks here in Jackson and

1 again had great dialogue with ESA in particular.

2 So, I mean, I've seen great communication from EPA
3 and our folks boots on the ground, especially here
4 in the mid-south, which I've been very thankful that
5 we've developed those relationships with EPA and we
6 would like to continue to see that.

7 Moving forward, I do understand the
8 budget situation. But like I said, I can't say,
9 Hardy, how great of an experience we had from our
10 perspective as producers and as university folks
11 here at Tennessee.

12 HARDY KERN: Thanks, Kim. That's really
13 helpful. I appreciate it.

14 ED MESSINA: Any further comments?

15 (No response.)

16 ED MESSINA: Okay. I'll wrap up this
17 session. I appreciate all the comments, I really
18 do. I think on the atrazine piece, I would stay
19 tuned, Nathan. Obviously, we've got some updates
20 coming out probably in the next two weeks on
21 atrazine. And as you know, everything we do is put
22 out there for folks to see. So you'll see some
23 activity on atrazine happening soon.

24 But my perspective is maybe slightly
25 different from yours in that, you know, this is

1 probably one where we went out and we've had
2 multiple SAPs on the levels and there was some prior
3 history on atrazine related to which levels we --
4 you know, staff were sort of directed in the past to
5 consider, and then we had litigation. So my
6 perspective, although I'm not discounting what
7 you're saying and your views, that this has been
8 through a pretty hearty process and it's an
9 important chemical and I think it should be. So
10 it's had many years of science reviews and multiple
11 SAPs and science.

12 So we will put something out in the future
13 and you can comment on whether we got that right or
14 not. And then, obviously, you have other avenues to
15 pursue if you don't like what we did there.

16 I think on the crop tours, we will be
17 doing some crop tours. Those will continue. So I
18 don't want to leave anyone with the impression that
19 we're not going to do any crop tours. Obviously,
20 we'll have to see as the new administration comes in
21 what their priorities are and budget resources.
22 But, certainly, at the OPP level, we feel that they
23 are very valuable for our staff and I expect that to
24 continue. But just be on the lookout for some
25 reductions.

1 And you'll have these slides, Kimberly,
2 too. So if you've got questions about the FTE
3 numbers, the one slide in particular is -- you know,
4 there's the chart which has every year with actual
5 dollar numbers in and then there's the actual graph
6 that shows the reduction down in FTE. So folks will
7 have that.

8 And then I the last thing I'll leave us
9 with and wrap up this session is on changes in
10 administrations, any change, whatever it is, creates
11 stressors for anyone going through it. My approach
12 and my conversations with staff is, you know, we're
13 going brief the new incoming administration folks
14 when they arrive. We're going to tell them all the
15 great work we've been doing. We're going to see
16 what policy changes they may want to make, and we
17 will adjust.

18 We are charged with implementing the
19 statutory requirements that Congress provides for
20 us. So to the extent that those statutory
21 requirements continue to exist -- and there's no
22 expectation that they won't -- you know, we're going
23 to have to meet those obligations.

24 As I sit here and think about what was
25 mentioned, the Endangered Species Act, my approach

1 there has always been to have a workable solution
2 that protects Endangered Species Act and also has to
3 be implementable for growers. And I know as we've
4 been on this journey, there's been examples of where
5 that has occurred and there's been examples of
6 where, you know, growers have been nervous about
7 their ability to carry out, you know, these
8 mitigations that we're putting in place.

9 I'm really proud of the work that occurred
10 to get us to the place we're in. My hope is that
11 all the stakeholders who are impacted in these new
12 approaches will continue to be vested in ensuring
13 that they continue and continuing to work through
14 the implementation of these policies so that they
15 are workable. If it turns out that folks don't
16 think it's workable, then I'm a little concerned
17 about a total reset. But that's just my -- sharing
18 my own personal thoughts.

19 I will have a new boss, and I will be
20 happy to work with that person, let them know the
21 great work OPP is doing. Folks have asked if I'm
22 sticking around, and I have no intention of leaving
23 at this point. What I've said is I've got to get a
24 new boss, and my boss has to like me and I have to
25 like my boss. And then at the end of the day, you

1 know, I will work with whoever's in the chair and
2 try to present them with the best advice that I can
3 provide. And that's kind of where I'm at, one day
4 at a time. And I think most staff are sort of
5 taking that approach.

6 I've also worked under the prior
7 administration as well. So, you know, we were
8 really involved in all the COVID response activities
9 during the past administration, prior to this one
10 that we're in now. So, you know, we'll see. I
11 appreciate everyone's thoughts. Everyone is
12 thinking about the change, but we're all
13 professionals here and we're happy to work with
14 whoever's in the chair and we'll continue the
15 professionalism that OPP has and continue to follow
16 the science, follow the law, and be transparent
17 about the actions that we're doing, as an example of
18 the meeting that we had -- this group today, that
19 sits here today and the discussions we're having
20 now.

21 So appreciate all the thoughts.
22 Hopefully, that answered some of the questions that
23 were out there. And then I will kick it over to
24 Jeffrey and we will reconvene with lots more
25 discussion and great activities for the future

1 meeting.

2 JEFFREY CHANG: Thank you, Ed.

3 So that concludes our first morning
4 session. We are going to break for a 45-minute
5 lunch. But before we do, I need to give you some
6 Zoom instructions.

7 During lunch, please mute your mics, but
8 don't click the "leave meeting" button. In other
9 words, just stay in Zoom on mute. This will ensure
10 that everyone gets back to the meeting on time.

11 So let's break for lunch and come back a
12 few minutes before 1:45. Thank you.

13 (Meeting recessed for lunch.)

14 JEFFREY CHANG: So welcome back, everyone.
15 I hope you had a good lunch. Our next session is
16 the Emerging Pathogens Pathogen Implementation
17 Committee. We will hear from Tajah Blackburn,
18 Senior Scientist, Antimicrobials Division in OPP;
19 Anastasia Swearingen, Senior Director of the
20 American Chemistry Council; and Rhonda Jones, CEO of
21 Scientific and Regulatory Consultants, Incorporated.

22 Welcome all.

23 EMERGING PATHOGEN IMPLEMENTATION COMMITTEE UPDATE

24 TAJAH BLACKBURN: Good afternoon. This is
25 Tajah Blackburn. I'm going to share my slides.

1 Will you please let me know when they're visible on
2 your side?

3 JEFFREY CHANG: I can see them.

4 TAJAH BLACKBURN: Fantastic. So we'll get
5 started.

6 Good afternoon. My name is Tajah
7 Blackburn, and I'm the Senior Scientist in the
8 Antimicrobials Division's Efficacy Branch at the
9 EPA. Additionally, I serve as one of the three
10 chairs of the Emerging Pathogen Implementation
11 Committee, EPIC, along with Rhonda Jones and
12 Anastasia Swearingen. This afternoon, we will
13 provide our fall and final EPIC update.

14 Are the slides advancing on your slide?

15 JEFFREY CHANG: I'm still seeing the home
16 slide.

17 TAJAH BLACKBURN: Okay. There we go.

18 Before we plunge into the workgroup
19 updates and information, I want to highlight the
20 EPIC core members. These individuals have served
21 for a minimum of two and a half years, some as long
22 as the former Emerging Pathogen Workgroup's
23 existence. These members served in technical roles
24 with other supporting technical experts,
25 contributing tirelessly through amazing

1 collaborations, which I refer to as these nerd-out
2 sessions, generating recommendations and technical
3 documents that will assist the Agency for decades to
4 come. Thanks again, core members.

5 Through the next couple of slides, I will
6 provide the background and timeline of events; I
7 will briefly share the genesis of the current
8 workgroup; then each workgroup chair will provide
9 their respective updates and closing
10 recommendations. I will highlight some of the high-
11 level Emerging Pathogen Workgroup and EPIC
12 accomplishments and then, lastly, we will pose two
13 motions to PPDC for a closing vote.

14 In the fall of 2020, the initial workgroup
15 was conceptualized and proposed to PPDC by the
16 Centers for Biocide Chemistries. The original
17 proposal envisioned a group charged with conducting
18 a retrospective analysis of EPA's antimicrobial
19 response to the COVID-19 pandemic. From concept to
20 reality, the formation of the official initial
21 group, Emerging Pathogen Workgroup, EPWG, occurred
22 in December 2020, with the first official meeting in
23 January of the following year.

24 The initial group consisted of 20
25 individuals from the regulated industry, academia,

1 trade associations, regulatory and technical
2 consultants, the transportation industry, and the
3 Centers for Disease Control and Prevention, CDC.
4 These 20 members were dedicated to addressing four
5 charge questions through biweekly meetings over the
6 span of two years. At the workgroup's sunset,
7 greater than 85 recommendations were given to EPA AD
8 to consider, prioritize and, if adequately
9 developed, implement.

10 Within the Antimicrobials Division, we
11 prioritized all 85 recommendations and the results
12 of this exercise were presented in the spring 2022
13 PPDC meeting. During that same meeting, PPDC voted
14 to, number one, form a new workgroup to refine,
15 develop, and provide a pathway for implementing the
16 recommendations and then, secondly, to expand the
17 focus to other antimicrobial pathogens.

18 So with this vote from PPDC and then the
19 ask to expand the antimicrobial landscape, the
20 Emerging Pathogen Implementation Committee was
21 formed in July 2022 for a two-year commitment with
22 an extension for an additional six months.

23 The current workgroup, EPIC, as part of
24 their final action, submitted their final report
25 with recommendations to PPDC in October of 2024.

1 We'll now hear updates and final recommendations
2 from the Policy Workgroup, followed by the Technical
3 Workgroup, and then finally the Education and
4 Communication Workgroup.

5 Anastasia?

6 ANASTASIA SWEARINGEN: Thanks, Tajah. Are
7 you driving the slides?

8 TAJAH BLACKBURN: I am doing it. We'll
9 see if it's successful or not.

10 ANASTASIA SWEARINGEN: Thanks so much.
11 Well, before I start, I just want to thank Tajah and
12 Rhonda for just being excellent co-chairs. This has
13 been such a pleasure to work on this, and I am both
14 happy and sad that we are recommending the sunset of
15 this committee because it has been so fruitful.

16 So the policy workgroup, you've heard us
17 present previously about some of the recommendations
18 to address a few of the challenges that came out of
19 the Emerging Viral Pathogens Committee. So we are
20 looking at the first issue, which is that one of the
21 struggles for users of -- or those who are looking
22 for products that might be eligible for the Emerging
23 Viral Pathogens Policy to work against one of these
24 emerging viral pathogens is that it's difficult for
25 the user to determine whether a product is eligible

1 for the EVP policy at the point of sale.

2 And so we talked about that in the
3 previous committee that Rhonda -- or, sorry, that
4 Tajah mentioned and explored in this Policy
5 Workgroup what are some solutions that could address
6 the concern from the user community that you want to
7 understand what product would work against a
8 pathogen at the point of sale with the practical
9 implications of not wanting to necessarily put
10 something on package once the EVP expired. So we
11 looked at the QR code as a potential solution for
12 addressing both of those issues.

13 And with a QR code, a single QR code could
14 direct a user to a menu of options, such as the
15 bilingual labeling under PRIA 5's requirements. So
16 you could get the Spanish labeling information that
17 you need or you could also get the information on
18 whether a product would be eligible for the Emerging
19 Pathogens Policy activation. And so what we're
20 recommending here is that a QR code could be a
21 pathway to have EPA-approved language in response to
22 the EVP activation without having to put anything
23 new on label because the registrant can change the
24 information available at the QR code link in
25 response to whether an EVP is activated or

1 subsequently sunset.

2 So if we move on to the next slide, the
3 other issue that we identified in looking back from
4 what went on during the COVID-19 pandemic is that
5 there was some struggle with the Section 18
6 submission process and training for those who are
7 submitting Section 18 applications in response to a
8 nationwide public health emergency. And so as we
9 looked through and discussed the available tools,
10 including the excellent training programs and
11 modules that already exist for Section 18
12 applications, the Section 18 checklist, we looked at
13 how could this be better tailored to future public
14 health emergency submissions under the Section 18
15 process.

16 And our recommendation here is that EPA
17 could provide an addendum to the Section 18
18 checklist to assist applicants during public health
19 emergencies. What we noted is that they are very
20 tailored right now to agricultural pests or other
21 regional outbreaks where a Section 18 application is
22 needed. And if there are resources that allow,
23 which we know from Ed's presentation is likely not
24 in the near future, but should EPA resources and
25 grants allow, we do recommend updating the existing

1 Section 18 emergency exemption training modules with
2 a module that would be specific to public health
3 emergencies and the information needed to provide
4 there.

5 So with that, that concludes our Policy
6 Workgroup recommendations. So I will turn it to
7 Rhonda.

8 RHONDA JONES: Thanks, Anastasia. I'm
9 super excited. Tajah, go ahead and roll it to the
10 next one.

11 To give you our final update, also very
12 sad, as Tajah mentioned, I had the pleasure of
13 working with this esteemed group of scientists and
14 registrants and academicians to bring a lot of those
15 80 items -- we're focused on the technical pieces.
16 So this is the team that has worked tirelessly for
17 two and a half years, all excellent scientists and
18 more than willing to negotiate and duel over a lot
19 of very challenging gaps in the literature and that
20 type of thing to bring the final recommendations to
21 you. So many thanks for this honor and to each of
22 these folks for their time over this period of
23 years.

24 Next. So my team really had two
25 responsibilities. One was to take the existing 2016

1 Emerging Viral Pathogen Policy and take all of those
2 80-some recommendations from the prior learnings
3 from COVID and address those and revise that policy.
4 And with EPA's permission, we just went directly
5 into a red line of that policy so that it was as
6 easy as possible to transition into a future policy.
7 And then, lastly, we went about building four new
8 policies for bacterial sporeformers, mycobacteria,
9 fungi and yeast, and bacteria.

10 Along the way, this particular group of
11 folks could not help themselves and wanted to
12 provide additional recommendations which we grouped
13 in your final report into a sixth appendix. And
14 those are recommendations that range from fixes that
15 need to be made inside the test methods, better test
16 strains, just all manner of scientific types of
17 recommendations for EPA to consider as time and
18 resources allow in the future.

19 And it also provided some statements where
20 we felt the literature trended in a direction of
21 support, but maybe was insufficient so that we could
22 say to the agency, if you are really in a pinch
23 providing an appropriate supply of these products to
24 meet the need, here are some other areas that on a
25 case-by-case basis you might consider extending

1 further beyond the published policy. And I'll show
2 you that in a minute.

3 But as you can see, all of the items are
4 done and have been submitted in the final report and
5 we await EPA's vetting and publication of those
6 recommendations.

7 Next. So for those of you who may not be
8 familiar or new to PPDC this term, the way the
9 existing policy works is the policy is directed at
10 registrants who own these registrations and are
11 adding claims to them. And it is a voluntary path
12 to preregister for a future emerging pathogen that
13 might face us. It allows the agency to take a look
14 at the standardized claim template, and the
15 scientific studies that are on file are being
16 submitted with the action and decide that there is
17 appropriate scientific studies to support these
18 future emerging pathogen claims. And we do that by
19 organism-by-organism structure.

20 Claims are strictly off-label in the
21 current policy. Anastasia spoke a minute to the QR
22 codes. We're hoping to, in the revisions, tiptoe
23 towards being able to have some point of sale QR
24 codes that would provide this information. But as
25 of today, it remains an off-label type of claim.

1 The claims can only be activated by a registrant
2 once EPA has done their research and triggered the
3 pathogen policy. This takes place formally at the
4 webpage that was developed in response to comments
5 that were made in the earlier working group.

6 There are currently five items on the list
7 and we actually just expired our first one and we've
8 had some items extended. So that website has become
9 sort of the central processing place to find all of
10 this information. So we can see there when EPA has
11 determined the triggers have been met and the strain
12 has been sufficiently identified, it will be
13 transmitted via surfaces or per use. And that's
14 also, again, as I said, where EPA will tell us when
15 to halt the use of claims. They're generally
16 granted for two years and then the EPA goes through
17 a process of deciding if it should be extended or
18 not.

19 Once the strains become available
20 for testing, then it's up to the registrants if they
21 voluntarily want to go ahead and do the testing and
22 file a submission and actually add claims on the
23 label. And this could happen during the EVP two
24 years if the strains become available that quickly.
25 Usually it takes longer to get the strains available

1 into the laboratories, get the testing done, get the
2 submission reviewed, get state registration, et
3 cetera.

4 So this is a pathway that allows us to be
5 prepared for future emerging pathogens without
6 having to wait a two- or three-year period for
7 testing or registration.

8 Next, please. So here's a list of all of
9 the changes that were recommended for the Emerging
10 Viral Pathogen Policy. Expanding the surface type,
11 so the existing policy is only for general and
12 healthcare disinfectants.

13 Currently, we are proposing extending to
14 hard and soft surfaces, fabric surfaces, laundry,
15 food contact, nonfood contact, sterilants, residual
16 products as well.

17 We have also expanded the eligibility
18 criteria. So in addition to viruses of greater
19 stringency supporting the emerging pathogen, we're
20 also suggesting sporicidal data could support that
21 as well.

22 We've expanded the communication language.
23 We've allowed it to be in a table form and given
24 some additional options to the original policy.

25 Of course, the web page was developed as

1 the central communication hub and that's already
2 actively happening.

3 We are proposing the QR code or equivalent
4 sort of on-label link to these kinds of
5 communications so they can be there at point of
6 sale.

7 We have urged the agency to expand their
8 consideration and not wait for these new emerging
9 pathogens to come geographically to our soil, but to
10 look for things that threaten us that are not here
11 yet. And we already see them doing that in the
12 actions they've taken over the last couple of years.
13 But we're proposing the text and the policy to align
14 with that.

15 We have also expanded the policy from the
16 standpoint of the regulatory authorities that EPA
17 can rely upon and look to to help them do the
18 investigation of the strain to identify what the
19 structure is, to identify whether it's transmitting
20 via surfaces. This included USDA relying on the CBC
21 Health Action Network alerts, things like that.

22 And then we updated the registration
23 process to reflect what is being done today. And we
24 produced a number of templates so the review can be
25 as standardized and as fast as possible. So

1 standard cover letters, standard terms of agreement,
2 standard master label language, et cetera, to try
3 and make it as-efficient-as-possible process,

4 Next. And then we launched -- using that
5 viral framework, we then launched into the other
6 four microbe policies. And much of -- as you've had
7 a chance to look at your final reports, much of
8 those documents are the same. The registration
9 process is the same between all of them. Really the
10 core of what changes is the scientific hierarchy.
11 And I'll give you some tables in a moment to kind of
12 show you where the team netted out. And then, of
13 course, we have our general recommendations report
14 as well.

15 Next. So this is an example of the Viral
16 Policy. There is a table in every one of these
17 policies that basically show you existing
18 registration categories. These come from our 810
19 Efficacy Guidelines. Products may or may not have
20 all of these claims, but we reviewed the
21 methodologies and the organisms that these claims
22 are built on and we pulled in all the published
23 literature that could be found.

24 Our folks at USAMRICD shared a lot of
25 internal Department of Defense data. They also

1 hooked us into UK Department of Defense data on
2 spores. And CDC brought a lot of their unpublished
3 data. And it was just a great collaboration of the
4 current contract labs that do this testing and have
5 for decades, the registrant companies that have labs
6 that do this types of testing, and everybody just
7 equally shared this mountain of information and data
8 on what they had seen, where the exceptions were,
9 where the gaps were, and where there was really
10 strong confidence that a claim out of this
11 registration category could support a future
12 emerging pathogen. Again, it's all based on
13 organism structures and cell walls and that type of
14 thing.

15 So just a quick visual on these charts,
16 anywhere you see green, these are areas where we are
17 making the recommendation that these claims can
18 support future emerging pathogens. Sometimes
19 there's some footnotes here, sometimes they're only
20 supporting half of a category of microbes. So you
21 have to really read into the details to see that.

22 Next. I'll just run through, this one is
23 the one that was made for bacterial sporeformers.
24 So these are Bacillus, Clostridia, Clostridiodes.
25 In this particular case, you can see we've expanded

1 to show three different surface types. So because
2 the testing involved allows you to look at hard,
3 nonporous surfaces, hard porous surfaces, and soft
4 surfaces, when those test carriers have been tested,
5 we have expanded the recommendations to include all
6 of those surfaces.

7 So again, the green spaces are where we
8 had strong published and expert support to make a
9 recommendation to you. You will see some probably-
10 too-small blue print here to really look at. That
11 was my way of indicating to you where the group made
12 a case-by-case recommendation to EPA. So the blue
13 items would not go in the published policy, but EPA
14 would have those sort of softer recommendations that
15 we believe the data trended towards a support for
16 this, but we're a little hesitant based on the
17 amount of data to make our full recommendation that
18 it go in the policy. But it's something EPA can
19 have in their hip pocket should they see that the
20 supply is not keeping up with the demand for these
21 type of products.

22 Next slide. For mycobacteria, again, a
23 nice amount of green there and some of the blue
24 recommendations for case-by-case. We did monitor
25 the number of active registrations in each of these

1 rows and try to really look at that, although that's
2 not a guarantee that a product is available and
3 ready for sale and has been through state
4 registrations. But where there were a few there we
5 really pushed ourselves to try and make more
6 recommendations and case-by-case recommendations, so
7 if we did have a national emergency, the demand
8 would meet the need.

9 Next. Again, same format for fungi and
10 yeast. Just wanted you guys to have the whole set.
11 As you can see, we're actually going in harder-to-
12 easier-to-kill order as we go through these and so
13 are the tables. You can see as we get to the
14 easier-to-kill organisms, there's more and more
15 green as you go down the table as well.

16 Next. And, lastly, bacteria so you can
17 see, again, same kind of setup for this and this is
18 all detailed out in the appendices in your final
19 report as well.

20 Next. So where do we go from here? EPA
21 has all of these draft policies all written in the
22 draft form similar to the one that's posted now. So
23 they will go through a vetting process. The viral
24 revisions, I think, started being vetted last year
25 and that may be closer to done and we're hopeful

1 that that is coming soon. It had to wait because it
2 relied on citation to a Viral Sanitizer Claim Policy
3 that was just published two weeks ago. So we're
4 hoping it's coming in 2025.

5 EPA will need to post each of these
6 documents we're recommending for public comment.
7 However, for the Revised Viral Policy, the group is
8 recommending that that be published for immediate
9 use while comments are being taken, whereas the
10 others, due to how novel they are and as they
11 haven't been out there before, we're recommending,
12 first, public comment and then finalization of
13 policy. So those are the three steps that really
14 are now on EPA's shoulder to do as resources allow.

15 Next. So here was the Group's final four
16 recommendations to you. Number one really is to vet
17 and publish the Revised Viral Pathogen Policy so
18 that we are ready for the next emerging viral
19 pathogen, which seems to be more routinely what we
20 are facing, and also just the statement on taking
21 public comment, but to publish it for immediate use
22 while the public comment period is taken.

23 The second recommendation is, as I just
24 stated, to take the four other micro policies and
25 publish them as drafts for public comment and then

1 move to final comments after considering the
2 public's input.

3 The third recommendation is this is likely
4 going to take some time to get through five of such
5 substantial documents with periods of public
6 comment, but that PPDC would maybe consider
7 requesting an annual update on the progress of each
8 of these five as we move forward.

9 And then, lastly, that EPA or PPDC should
10 think about creating a process to periodically
11 reassess these policies, you know, perhaps on an
12 every five-year loop, relook at the literature and
13 people's experience. Also, to add new test methods
14 that are coming down the pike, but to basically have
15 this period of being able to refresh this policy and
16 learn from the pandemics and add in all the new
17 things. So that is where the Technical Workgroup
18 has netted out.

19 Tajah, I'm going to hand it back over to
20 you and say, again, many thanks to Tajah and
21 Anastasia for their support and this team of amazing
22 scientists that I was able to work with.

23 TAJAH BLACKBURN: Perfect. Well, I'll
24 take us home.

25 The Education and Communication Workgroup

1 members contributed their time to interviewing
2 sectors where antimicrobial products are used and
3 condensing that information into products,
4 resources, and additional recommendations and the
5 recommendations in this final phase of the
6 workgroup's operation.

7 Unlike in the earlier phase of this
8 workgroup's existence where deliverables were really
9 measurable, this workgroup faced hurdles in the
10 development and implementation of actual education
11 and communication resources.

12 Just briefly, this workgroup assumed the
13 mantle of gaining information regarding the charge
14 question, What education is needed during a pandemic
15 or other emergency for the public, end users, and
16 other regulating authorities?

17 In the workgroup's first operational year,
18 we gathered specific information from a broad range
19 of sectors that use antimicrobial pesticides to
20 better understand the specific education and
21 communication gaps. From the information-gathering
22 phase, most of the aha moments resonated around four
23 recurring themes regardless of sector. We
24 prioritized the two middle points as the central
25 focus to address during the last operational year;

1 that is, dispelling the confusion and
2 misinterpretations around disinfectants and
3 sanitizers through generating tools that would
4 bridge the literacy and language gaps.

5 Building these resources proved to be
6 significantly challenging. We sought out
7 stakeholders who use infographics or pictograms on a
8 daily basis to better facilitate using their
9 products and clarifying product differences. These
10 joint stakeholder discussions were successful
11 regarding cobranding, but in the remaining time,
12 unfortunately, we could not resolve the legal issues
13 concerning cobranding as an option, which leads us
14 to to this workgroup's final recommendations.

15 And these recommendations are expanded
16 more in the actual report, but, just briefly, the
17 recommendations center around developing tools to
18 address sector gaps by generating infographics and
19 pictograms to mitigate literacy and translation
20 issues; expanding translation of current and future
21 documents into multiple languages; facilitating and
22 encouraging development and cosponsorship of
23 training documents and centralizing those documents
24 for ease of access and use; incorporating pictograms
25 and infographics into existing emerging viral

1 pathogen-related resources, especially when
2 depicting viruses associated with Tier 1, 2, and 3
3 claims; developing descriptors around porous and
4 nonporous surfaces and indoor and outdoor uses when
5 current descriptions are not intuitive; requesting
6 EPA address the frequency of antimicrobial use per
7 sectors through hyperlinks and/or joint trainings;
8 creating opportunities for joint training and
9 codevelopment of resources and tools where
10 jurisdictional confusion exists; and then, lastly
11 and similarly with the Policy Workgroup's
12 recommendation, expanding opportunities to use QR
13 codes for training and education at the point of
14 sale for better-informed product selection.

15 In closing, I am always excited to
16 highlight some of the high-level accomplishments
17 across the initial Emerging Pathogen Workgroup that
18 fed over into the Emerging Implementation Committee
19 Workgroup as well.

20 The first one is the landing page. That
21 landing page centralizes all EVP-related resources.
22 The next accomplishment would be the Spanish
23 translation of EVP-related resources. Third, the
24 proposed revisions of the EVP guidance with expanded
25 features for viruses and other microbes; the

1 continuation of EPA and stakeholder engagements
2 through process efficiency proposals and future
3 products; and then, lastly, an entire compendium of
4 technical documents to assist EPA in preparation for
5 future microbial emergencies and even steady state
6 operations.

7 So in closing, there are two final motions
8 for consideration. The first motion is to sunset
9 the workgroup and then finally to accept the report
10 that was provided by EPIC to PPDC. So, Ed, I'll
11 turn it over to you.

12 ED MESSINA: Thanks. Great presentation.
13 So we can open it up for discussion for the larger
14 PPDC group and then we can see if there's any
15 motions and seconds and we can kind of vote on the
16 things you'd like us to vote about. So reactions
17 from PPDC conversation?

18 JEFFREY CHANG: Lisa.

19 LISA DREILINGER: Thanks. Obviously, I
20 was on the group. I just want to say thank you to
21 Tajah and Rhonda and Anastasia and to all the
22 members of the group and all the hard work that went
23 into the recommendations that are presented today.
24 I think they are going to make a real difference in
25 how we operate in the future in terms of emerging

1 pathogens and other crises that will come up. So I
2 just wanted to say thank you. I'm looking forward
3 to the vote today.

4 ED MESSINA: Other discussions?

5 LIGIA DUARTE: Yeah, I just wanted to
6 chime in as well and say thank you to the workgroup
7 and the workgroup leaders. This is really great
8 work. HCPA is supportive of the recommendations
9 that have been put forward forth and we're also
10 looking forward to the vote. Thanks, everyone.

11 JEFFREY CHANG: Kim Brown.

12 KIM BROWN: Yeah, I just want to say one
13 thing. This is a very impressive document.
14 Whenever we -- in regards to education, just as a
15 brief reminder, extension is a big part of across
16 the country for an educational standpoint, of
17 course. I was just skimming through some of the
18 educational stuff. I just want to make a reminder
19 that we are there, you know, pesticide safety
20 educators. I know we did a lot during COVID
21 originally. And so just as a reminder, don't forget
22 about extension. We're a good resource for
23 education.

24 ED MESSINA: Okay. Having given time for
25 discussion and seeing that no more hands are raised,

1 is there a member of the PPDC that would like to put
2 the Motion Number 1 to the floor? Lisa?

3 LISA DREILINGER: I'll put the motion to
4 the floor, yeah, and request the motion that we, the
5 PPDC, vote on submitting the final report to EPA OPP
6 for consideration.

7 ED MESSINA: Thank you, Lisa. Is there a
8 second?

9 ANASTASIA SWEARINGEN: I'll second that,
10 Ed, if that's all right.

11 ED MESSINA: Definitely all right as long
12 as you're a PPDC member, which you are.

13 Okay. Any further discussion needed,
14 please raise your hand.

15 Seeing no hands, I will ask those in favor
16 to raise your electronic hand, and Jeffrey will
17 tally the votes.

18 JEFFREY CHANG: Yes, please keep them up.
19 I will count as best as I can. I have 21 so far.

20 ED MESSINA: That's the magic number you
21 need, right?

22 JEFFREY CHANG: Yes. There's 42 members,
23 so...

24 ED MESSINA: Oh, you need 22 then.

25 JEFFREY CHANG: Okay. Claudia says raise

1 her hand and -- okay. Twenty-three.

2 ED MESSINA: Okay. So the motion passes.

3 The report will be submitted to EPA from the PPDC.

4 Everyone can lower their hands.

5 Is there someone who would like to propose
6 another motion from the PPDC?

7 LISA DREILINGER: I'll motion again, the
8 motion to PPDC to vote to sunset the EPIC Group.

9 ED MESSINA: Is there a second?

10 UNIDENTIFIED FEMALE: I'll second.

11 THE COURT: Time for discussion. Please
12 raise your hand if you'd like to discuss.

13 Kimberly?

14 KIMBERLY NESCI: Sorry, I thought we were
15 voting.

16 ED MESSINA: Yep. Oh, you jumped the gun.

17 KIMBERLY NESCI: I did.

18 ED MESSINA: Any hands for discussion?

19 Seeing none, we will take a vote on the second
20 motion presented of sunseting the EPIC. All in
21 favor, raise your hand.

22 JEFFREY CHANG: Yep, keep them up.

23 Twenty-three. I think it's the same 23.

24 ED MESSINA: With 23 members indicating
25 approval, we have a majority, so congratulations.

1 The Emerging Pathogen Implementation Committee has
2 been sunsetted. Thank you.

3 Let me echo everyone else's thanks. I
4 know this group was very energetic over multiple
5 years of stamina, so really appreciate all of the
6 work that went in. And I think it's also important
7 recognizing that the original group that helped the
8 agency develop an Emerging Viral Pathogen Policy was
9 the sole reason as to why we were able to react so
10 quickly when the pandemic happened recently. So if
11 we didn't have that policy, we would not have been
12 in the position that fortunately we were to react.

13 So all of the folks that have historically
14 been on this group, the agency owes you a debt of
15 gratitude and the American people owe you as well
16 for your work on this topic and continued work
17 throughout the years. So thank you.

18 TAJAH BLACKBURN: Thanks, Ed.

19 ED MESSINA: Back to you, Jeffrey.

20 PESTICIDE RESISTANCE MANAGEMENT #2 WORKGROUP UPDATE

21 JEFFREY CHANG: Let's now pivot for an
22 update from our Pesticide Resistance Management
23 Workgroup Number 2. For that we are joined by
24 Nikhil Mallampalli, Biological and Economic Analysis
25 Division in OPP, and Cameron Douglass, USDA Office

1 of Pest Management Policy. Welcome.

2 CAMERON DOUGLASS: Hi. Thanks, Jeffrey.

3 I think I was the only -- Nikhil is not a panelist
4 today, so I think it's just me and that should be
5 fine.

6 JEFFREY CHANG: Okay. And just remember
7 to speak slowly when you're presenting.

8 CAMERON DOUGLASS: Sounds good. Hold on
9 one moment, let me --

10 MARC LAME: I'm here for you, Cameron.

11 CAMERON DOUGLASS: Thank you, Marc. I
12 appreciate that.

13 All right. Can everyone see my slides?

14 JEFFREY CHANG: Yes.

15 CAMERON DOUGLASS: All right. So today,
16 we are here, myself and Nikhil, who's in the
17 background virtually, to represent our final report
18 from the second iteration of the PPDC Resistance
19 Management Workgroup.

20 Before I get too far into the brief
21 details I'll present today, I wanted again to thank
22 all the participants and members of our workgroup.
23 We had a relatively small workgroup, but I think we
24 accomplished a lot in the two to two-and-a-half
25 years that we operated. I was also very proud that

1 we had a very diverse and representative group of
2 stakeholders, including folks from academia, also
3 several other government colleagues, several growers
4 and/or crop consultants, at least one representative
5 from a nongovernmental organization, folks from the
6 pesticide community and also from the retail
7 community. So I think that these diverse
8 perspectives really helped inform the breadth of our
9 recommendations.

10 A little bit of history, much like EPIC,
11 we have been operating or we have been working, some
12 of us, on resistance management since about 2020.
13 In 2020, the first Resistance Management Workgroup
14 was approved and began working for PPDC. About a
15 year and a half later, they submitted their final
16 report with five recommendations that broadly
17 suggested EPA take a more proactive role in
18 resistance management.

19 At that PPDC meeting, PPDC members wanted
20 that work to continue and for another workgroup to
21 flesh out some of the first workgroup's
22 recommendations and suggest some improvements on
23 implementation specifically. So in the fall of
24 2021, PPDC voted to form the second Resistance
25 Management Workgroup, which is the group whose final

1 report you'll be considering today.

2 At the last PPDC meeting in May, we
3 presented our final report and I won't go into a lot
4 of details today on that final report, since we've
5 already provided that more detailed presentation,
6 but, very broadly, this workgroup was dealing with
7 three charge questions, again furthering the work on
8 developing implementation strategies for EPA,
9 developing pesticide resistance cost-benefit
10 analysis frameworks and exploring leveraging IPM.

11 The workgroup -- and this is detailed in
12 our report, which you should all have a copy of --
13 had roughly 14 specific recommendations along four
14 themes. The first, in response to the first charge
15 question, was strengthening partnerships both within
16 and outside the Federal Government, including
17 through the creation or reappropriation of existing
18 resources for a resistance management coordinator
19 within OPP.

20 The second theme was to integrate
21 resistance cost-benefit assessments into EPA's
22 decision-making on pesticide registrations. The
23 third recommendation theme was to improve work with
24 external stakeholders on the rigor and transparency
25 of pesticide resistance data. Lastly, the workgroup

1 recommended that EPA explore opportunities for
2 removing regulatory barriers to alternatives to
3 conventional pesticides.

4 Following our presentation in May, several
5 PPDC members representing the antimicrobial product
6 community voiced some concerns with the broad scope
7 of the report and the lack of representation from
8 experts from that community. We had a chance since
9 the May PPDC meeting to meet with those PPDC members
10 and others from that community and we had a very
11 constructive, positive meeting. So I really
12 appreciate their feedback and their very
13 constructive advice. We discussed their concerns
14 and working with those PPDC members, we have now
15 added a new brief section at the beginning of
16 Section 1 of our report.

17 Here's that new addition in its entirety.
18 I'm not going to read this whole thing because you
19 can read it in your report. Essentially, this new
20 addition to the report clarifies that the scope of
21 the recommendations only apply to pesticides whose
22 uses are regulated by the Biological and Pollution
23 Prevention Division, BPPD, the Pesticide
24 Reevaluation Division, PRD, and their Registration
25 Division, RD. So they are not intended to address

1 resistance issues related to products solely
2 regulated by the Antimicrobials Division or AD.

3 This language was satisfactory to the PPDC
4 members who had voiced concerns about the scope. So
5 I think the report is in a much better place now and
6 I'm optimistic about the outcome of the vote that we
7 will recommend today.

8 Because our report sort of carves out
9 these antimicrobial uses, we did sort of include a
10 little bit of caveat in our report and/or
11 prompt for further discussion by PPDC either at this
12 meeting or at a future meeting, where PPDC could
13 consider a few approaches towards trying to account
14 for resistance management for these antimicrobial
15 products.

16 I'll actually start with Option 2 because
17 it sort of represents what the status quo is now,
18 which is that there already is considerable work by
19 the antimicrobial community on resistance
20 management. And PPDC could simply allow that work
21 largely outside of EPA, but also within EPA -- and I
22 know that staff from AD are actively engaged in a
23 lot of this work -- could simply allow this work to
24 continue. If, however, PPDC wants to dive into this
25 issue a little bit more, of course, they could vote

1 to form a new workgroup.

2 So this is the new addition to the report.
3 Otherwise, the report was unchanged from the version
4 that we presented in May.

5 And so at this time, we put forward two
6 motions similar to those that you just considered
7 for EPIC. We request that PPDC vote on submitting
8 our revised final report with a new addition
9 clarifying the scope of the report to EPA for their
10 consideration. And, relatedly, we request the PPDC
11 vote to sunset the second iteration of the
12 Resistance Management Workgroup.

13 And that's all I had to present today.
14 Doing my work to keep everyone on time.

15 JEFFREY CHANG: Thank you, Cameron. We
16 can move into discussion. Does anyone have anything
17 to add here?

18 Okay. So I see Patrick Johnson. I'm not
19 sure if that was a legacy hand, but...

20 Oh, Anastasia.

21 ANASTASIA SWEARINGEN: Hi. I just wanted
22 to thank Cameron for all the work to listen to our
23 feedback and concerns and that we're really
24 supportive of the revised final report and
25 appreciate all those who were in the workgroup and

1 listened to us and had such a productive dialogue.

2 JEFFREY CHANG: Anyone else?

3 (No response.)

4 JEFFREY CHANG: Would someone like to
5 motion to put forth the final report?

6 DAREN COPPOCK: Is it permissible to do
7 both in one motion or do it in separate motions?

8 ED MESSINA: You can do it all in one
9 motion if you'd like. Jeffrey, your thoughts?

10 JEFFREY CHANG: Sure. Yep.

11 DAREN COPPOCK: I would move to approve
12 both of those motions.

13 JEFFREY CHANG: Okay.

14 KIMBERLY NESCI: I second.

15 JEFFREY CHANG: Thank you. Okay.

16 ED MESSINA: And just for the transcript
17 and the record, Jeffrey, if you want to read the
18 motion into the transcript and then we can take a
19 vote.

20 JEFFREY CHANG: Yep. So the first motion
21 is to submit the final report from the Pesticide
22 Resistance Management Workgroup Number 2 and the
23 second motion is to sunset that workgroup. So we're
24 going to vote now on both those motions.

25 Please raise your hands and keep them up.

1 Twenty-eight. I'm seeing 28. Great. So the motion
2 passes. Thank you.

3 ED MESSINA: Thanks, everyone.

4 All right. Looks like we have some time,
5 Jeffrey. Do you want folks to reconvene at 3:05?
6 Is that where we're at?

7 JEFFREY CHANG: Yes. The Pesticide Label
8 Reform Workgroup is supposed to present at 3:05.
9 Since we are a little early, do you guys want to
10 present at 3:00 instead, Michelle and Sarah, Lisa?

11 UNIDENTIFIED FEMALE: Sure.

12 JEFFREY CHANG: Okay.

13 UNIDENTIFIED FEMALE: Yep. That's fine by
14 me.

15 JEFFREY CHANG: Okay. So return at 3:00
16 then, please.

17 ED MESSINA: Thanks, Jeffrey.

18 JEFFREY CHANG: Thank you.

19 (Meeting break)

20 PESTICIDE LABEL REFORM WORKGROUP UPDATE

21 JEFFREY CHANG: We are at our last session
22 for today. This will be the Pesticide Label Reform
23 Workgroup. And this will be led by co-chairs Lisa
24 Dreilinger, Arxada; Sarah Hovinga, Bayer; and
25 Michelle Arling, Office of Pesticide Programs.

1 Welcome.

2 LISA DREILINGER: Thanks, Jeffrey.

3 Thanks, Sarah and Michelle, and thank you to
4 everyone for giving this opportunity to us to update
5 on the Label Reform Workgroup.

6 I will, of course, start by thanking Sarah
7 and Michelle and then going through the agenda and
8 just a general thank you to everybody who serves on
9 this group. Michelle's going to share who that is
10 specifically, but it is a very passionate group of
11 individuals that I am proud to be a part of. So
12 just a general thank you, since I'm not going to be
13 doing that slide.

14 Michelle, can you go to the next slide?

15 Awesome. So really quick, the agenda for
16 today, we are going to tag team this presentation.
17 Michelle is going to share the workgroup
18 information, the members, who they are, how often
19 we're meeting and, of course, how we're
20 collaborating. Sarah and I -- oh, I think Michelle
21 will also go over the charge questions, and then
22 Sarah and I will go over the short-term proposal on
23 their structured label.

24 I think Michelle will also share who we've
25 been meeting with. We've been meeting with some

1 external partners and I think it's really important
2 for stakeholder engagement to understand what others
3 are doing in this area. And then, of course, we've
4 been looking at what the optimal electronic
5 experience looks like, ideally starting from scratch
6 and hoping that we have no predetermined
7 expectations. And so we want to share the outcome
8 of that exercise with everyone. And then, of
9 course, we have recommendations and next steps.

10 So I'm going to pass it to Michelle.

11 MICHELLE ARLING: Thanks, Lisa.

12 As Lisa mentioned, our workgroup is very
13 big and very committed. So on the screen you'll see
14 a list of everyone who's participating, and then
15 I'll go to the next slide and let you see the makeup
16 of our workgroup. It really represents diverse
17 stakeholder groups across a lot of different sectors
18 and interests, and this group does an exceptional
19 job of working really well together and listening to
20 different viewpoints. So it has been a good
21 experience.

22 Next up, we've shared this before and
23 updated it for this meeting, but here are the
24 timeline and tools that we're using to work
25 together. So we meet weekly on Thursdays for an

1 hour and we've been doing so since we formed the
2 workgroup last summer. So it has been lot of work
3 and a lot of commitment from the workgroup members.
4 So I'll echo Lisa's thanks to them. So we gave you
5 an update at the last few PPDC meetings, and our
6 target is to get our completed recommendations to
7 you at the next meeting in the spring. And then we
8 stay in touch and collaborate with each other using
9 a Teams site.

10 The next thing is the workgroup charge
11 questions and these we've presented to you before.
12 They're the same questions we presented when the
13 workgroup was chartered. Overall, we're working to
14 develop recommendations on digital labeling, the
15 labeling process efficiency and consistency, and
16 adoptability. We're doing this by focusing on a few
17 charge questions, both short and long-term questions
18 around the submission and approval and technology
19 used for labeling, and then questions around the
20 content and accessibility of labeling for users and
21 reviewers.

22 So the last thing I'm going to cover right
23 now is one of the things we've spent quite a bit of
24 time on since we met with you last. We have been
25 doing a lot of information gathering on existing

1 technologies and how they're used. We reached out
2 to all of these groups and asked them to come and
3 talk to our PPDC workgroup about what they do and
4 how they do it in terms of providing label
5 information to users or accepting label submissions
6 from registrants.

7 So we got a variety of perspectives and
8 learned a lot about that experience -- of those
9 experiences and used that information to move
10 forward with what we'll talk about later the rest of
11 our time since our last meeting was spent doing.

12 And, now, I will turn it over to Sarah to
13 talk about structured labeling.

14 SARAH HOVINGA: Yeah, thanks so much,
15 Michelle. And you may remember from spring of last
16 year -- Lisa will give a brief peek at that after
17 I'm presenting on this -- but one of the first steps
18 to get really quality label information on the other
19 side, for example, with the end user community, is
20 to really ensure that there's quality information
21 and a quality process from the very beginning. And
22 so this is really the idea of starting with this
23 short-term label structure approach.

24 And what I'll walk through here is a
25 little bit of what you heard, but then I think it

1 will be reemphasized with some of the new
2 information that we're presenting today. So really
3 recommending to EPA for consistent data elements, so
4 those individual pieces of pesticide label data
5 elements, and that will become a little bit more
6 clear what we mean there in the order of the data
7 elements. So that's really what we mean when we
8 talk about structure, where some of these standard
9 or mandatory phrases, pick list options, and/or
10 controlled vocabulary would really begin to
11 standardize pesticide product labels. And really
12 this short-term approach is to have an initial goal
13 of improving that label creation, review and
14 comprehension because of the pieces going into it.

15 So some of the concepts that we've learned
16 with going through this process and will be
17 presented here today is really that all pesticide
18 products do share and should share a common set of
19 data elements under FIFRA. And this data element is
20 really the starting backbone to what could be
21 utilized for the structure of all pesticide
22 products. However, because there are different
23 types of pesticide products, those will
24 differentiate in some of the different details
25 either for specific data elements that might be

1 unique for certain pesticide types or the details of
2 those similar data elements. And so they will have
3 some different templates or modules for different
4 pesticide types, again utilizing the common backbone
5 among them all.

6 So we can go to the next slide. Just a
7 little bit of progress of what this group has done
8 relating to this short-term approach, so you saw the
9 antimicrobial structure in the spring. I'll go over
10 briefly the conventional structure that the group
11 worked on as examples of what I just mentioned in
12 terms of the data elements being identified, where
13 users can really find guidance on what should go in
14 that data element, be it Code of Federal Regulations
15 in the Label Review Manual or perhaps a PR notice;
16 where possible, you know, really identifying where
17 there's some efficiency improvement possibilities
18 like pick list, standard or mandatory phrases,
19 controlled vocabularies or interoperability with
20 other databases.

21 We know things like, you know, bilingual
22 labeling, ESA, and other projects like that are
23 starting to get some of these other databases. So
24 that's really what that's speaking to. And, also,
25 where there's data elements with potential

1 placeholders to minimize the review time on the EPA
2 side, and for an example, areas where there's QR
3 codes or websites to be representative there.

4 And really what this group was able to do
5 -- and we'll get to a slide showing a little bit
6 more of the detail there -- was to start to compare
7 the structures of now what we have two of them, the
8 antimicrobial and also the conventional structures
9 using agricultural products as an example to really
10 understand this concept of common and unique data
11 elements.

12 And so what would be needed to progress on
13 this work is utilizing other pesticide types to
14 understand how these might also differentiate
15 according to their unique attributes, but also where
16 there's common data elements and incorporating that
17 learning into the minimum set of the common data
18 elements and then also utilizing the same exercise,
19 basically going through and identifying options for
20 that controlled vocabulary, but also understanding
21 the governance.

22 So for example, you know, if you have a
23 list of controlled vocabulary for crops, you know,
24 who's owning that list, who's managing it, who's
25 updating it and some of the data governance around

1 that and really checking with users to make sure
2 that it's going to be working. And then, yeah,
3 lastly, piloting this approach to really understand
4 are these efficiency gains that we hoped to get out
5 of this really paying off and also where can we have
6 learnings for further areas of improvement.

7 So I have a couple slides going through
8 this agricultural example of a conventional
9 structure. And we don't have time on the call today
10 -- I'll work with Jeffrey to actually get the
11 structure on the PPDC website so you can go in and
12 look there. But really this first bullet point, so
13 the PPDC working group was -- expertise was really
14 utilized to align on some of these major points.

15 So you see, you know, the information that
16 is on, in this case, using agricultural products as
17 an example and agricultural label and some of the
18 sub-bullets under there. So general information
19 that would appear on the front panel, first aid
20 elements, precautionary statements, directions for
21 use, restrictions and precautions, target site and
22 pest use directions, the pests controlled or
23 partially controlled, endangered species
24 requirements, storage and disposal, and marketing
25 claims. And so those are the big sections there.

1 And I'll get to the next bullet point if
2 you don't mind going to the next slide, Michelle.

3 It's the same text, but it just gives you
4 an example of a couple of these different data
5 elements, because really the idea is going through
6 -- and this is what you'll see in the structure if
7 you go through sub-bullet by sub-bullet, again, you
8 get to what was identified from the group as being
9 important to flag for more efficient label creation
10 from the registrant side and also review, because,
11 again, if we can be aligned on what the common data
12 elements are that need to be there and the guidance
13 around what actually goes into that data element,
14 it's going to make either side of either the
15 submission or the review and then ultimately the
16 label comprehension for what ends up being on the
17 label more standardized.

18 So an example of a mandatory statement,
19 you know, that shouldn't be open for human error,
20 you know. Something like that has the ability
21 to be auto-populated and also translated according
22 to the needs, for example, of some of the bilingual
23 labeling. You see the reference there for where
24 that's looked at the guidance very clearly.

25 And then getting to the signal word,

1 again, there's the possibility for auto-population,
2 you know, depending on the signal word, that could
3 -- based on the controlled vocabulary, that's
4 dependent on the toxicity category and, therefore,
5 there's a certain icon that would appear under that
6 signal word. And, again, you have guidance for
7 where to get that.

8 And so just really highlighting these two
9 as examples for what we're trying to get at. So
10 really recommending that the agency is considering
11 existing sources for this controlled vocabulary,
12 standard phrases, required elements that really meet
13 the needs for different stakeholders. And there's
14 pieces that have already been worked on. So just
15 looking to some of those past projects and learnings
16 to potentially utilize the expertise and effort that
17 went into those controlled vocabularies, for
18 example.

19 And as I mentioned, the data governance
20 around this, just ensuring there's updates
21 happening, maintenance for these controlled
22 vocabularies, and really with the idea that this is
23 creating consistency across the labels that are
24 submitted in the first place, minimizing that human
25 error, also hopefully making the review process

1 easier because the data elements and the order of
2 the data elements and also what appears in the data
3 elements are more standardized and ideally enabling
4 some sort of automation at the end.

5 So again, we'll work with Jeffrey to get
6 this full structure on the PPDC website, so it's
7 available, and going through bit by bit there.

8 So lastly, on the next slide here, I won't
9 go into the full detail there, but it gives a little
10 bit of appreciation for, again, this common
11 backbone. So the colors, for example, so you have
12 the antimicrobial structure on the left-hand side;
13 you have the conventional agricultural example on
14 the right hand side, and all the colors are just
15 showing you where that data element is in either
16 structure.

17 So those colored elements right there are
18 really the common backbone, and you might have some
19 elements that are unique to -- in this case, you
20 know, Number 18 and Number 19 aren't found on
21 agricultural labels. Hence, that should be
22 consideration for antimicrobial-specific templates
23 if someone's either submitting or reviewing that
24 structure.

25 So getting into a little bit of the nitty-

1 gritty of the work, but I think this is the -- we
2 think that this is the type of work that really
3 needs to be done to understand, again, the common
4 and unique elements of different pesticide types and
5 that registrant industry groups could really be a
6 source for this sort of information.

7 So that's the detail on that that I think
8 we have time for today. But, again, we're open to
9 feedback and questions on this because I know it's a
10 lot of information.

11 So I'll hand it over to Lisa just as a
12 reminder for what you saw last spring.

13 LISA DREILINGER: Thanks, Sarah. So this
14 is the antimicrobial structured label. And I just
15 wanted to take a minute and celebrate that in
16 September, through our trades -- so a special thank
17 you to CBC and Anastasia and Ligia at HCPA -- we had
18 a joint meeting where we were able to go over the
19 template and recommend its use and then get feedback
20 on it. So we don't have feedback just yet, but
21 we're hoping that the agency will start to see
22 people and registrants using the template and then
23 providing feedback on what worked and what didn't
24 work.

25 We did not disseminate any pick lists or

1 anything with the structured template, only the
2 structured template itself, which in itself is a win
3 if it helps the agency find the material and the
4 data elements and the order of the data elements in
5 a consistent fashion helpful.

6 So we're hoping that this is a useful tool
7 and that it will go beyond just the Antimicrobials
8 Division, of course.

9 So once we pivoted from the short-term
10 solution to what the optimal electronic experience
11 might look like, we really had some fun with the
12 group. We took all the members, which Michelle
13 showed there are a lot of, and we broke into small
14 groups. And then we really looked at each
15 individual part of this experience, which we'll go
16 into detail in just a moment.

17 As you can see, we've detailed the entire
18 electronic labeling and product experience from
19 submission of EPA all the way into enforcement and
20 everything in between, including the part where
21 registrants submit and EPA approves, and then how it
22 goes to other stakeholders, like states. And then,
23 of course, the final label container goes to the
24 user and retailers. And then, of course, how do we
25 make sure that the product that got registered

1 actually is what it says it is and does what it says
2 it does? That's the enforcement part and, of
3 course, commercialization.

4 So just a reminder that the process goes
5 from left to right. We're going to go into detail
6 on what the recommendations of the optimal
7 experience is. The bottom is completely separate.
8 We were also thinking about this in terms of our
9 stakeholders. So we have registrants and, of
10 course, EPA, states, and then, of course, you have
11 your retailers, your vendors, label information and
12 providers, and then, of course, your actual user of
13 the pesticides.

14 So we want to highlight that although the
15 -- sorry, the digital approach is recommended to be
16 voluntary at first, we are hoping that we could
17 incentivize users to adopt it. And we're going to
18 go into more detail what that means, but we are just
19 acknowledging that in order to make something like
20 an electronics submission required, it requires a
21 change in our current statute. And, right now,
22 we've not tackled that part. We are just talking
23 about what the overall experience optimally would
24 look like and what it would do in order to build
25 efficiencies.

1 Okay. Now, Michelle, you can go.

2 Okay. So the data needs to be fair.

3 I should just take a step back and say these are
4 overall system requirements, which we're then going
5 to go into quickly because we only have 10 minutes,
6 each and every one of those boxes and just highlight
7 some of the discussions we had. So, overall, the
8 data needs to be FAIR. That's findable, accessible,
9 interoperable, and reusable. We're going to talk
10 about what that means. But it was -- it's really
11 important to consider how the data is going to be
12 used and who needs to use it and who needs to access
13 it and then what you're going to use it for.

14 The project, of course, needs funding and
15 staff. I know we listened to Ed this morning. We
16 know that's a challenge. But in order for this to
17 be successful, we're, of course, going to need a
18 commitment.

19 The structured content is important. We
20 just heard our short-term solution, but we're hoping
21 that we're able to take that short-term solution and
22 what we put together and proposed for the short term
23 would also translate into this long-term -- longer-
24 term solution. And then, of course, that we would
25 take that structured data element and then you could

1 use it with different platforms and different
2 applications. And we compared this to email a lot.
3 Where you could have Gmail or you can have Yahoo or
4 you could have -- I'll date myself and say AOL --
5 and you can have -- it doesn't matter which system
6 you're using, you can send anybody an email on any
7 other system. So it's looking with, you know, a
8 high level of compatibility.

9 Of course, we said this had to be
10 voluntary for right now, but we're hoping to
11 incentivize users and the agency with either faster
12 reviews or lower PRIA timelines. And even if that
13 isn't promised, we're hoping that the result of
14 using this structured label and the electronic
15 submission would just help the process go through
16 faster. So the result would be faster review and
17 communication and problem solving and collaboration.

18 Of course, we want to harmonize as much as
19 possible with other authorities that are doing the
20 same thing, and there are a number of them,
21 including some that are international or within our
22 own country. There are some states that have gone
23 -- at least one state that I can think of has gone
24 electronic. And, of course, we need to align with
25 our stakeholders. It's critical that we meet the

1 needs of the states and the registrants and the
2 users and the other stakeholders that, of course,
3 are engaged on this topic.

4 So we've broken this into three big areas,
5 submissions, EPA, routing the states, and then, of
6 course, what happens with the user. So I'm going to
7 focus on just the submission to EPA and,
8 unfortunately, I'm going to have to go pretty quick.
9 But we want to say we took a lot of thought in just
10 thinking about the overall process, but we are
11 really interested to hear feedback on if you think
12 that there was something missed on the process or,
13 of course, a stakeholder that you would like to add.
14 We're still in the process of collating all the
15 recommendations.

16 Of course, in order to -- the requirements
17 we need to meet the EPA requirements. FIFRA-
18 required elements must be met and, of course, the
19 structured label must be readable and writable in
20 order for us to appropriately communicate.

21 We would like the system to be two ways,
22 which means that the EPA and the registrant could
23 communicate through the system, which should speed
24 things up, especially when you're talking about
25 specific data. That would be in lieu of email, of

1 course, which is another option. But the system and
2 talking about the documents directly might make
3 things easier.

4 Of course, the system needs -- each data
5 element needs to have a home on the structured
6 label. We have been very intentional in not putting
7 a miscellaneous section in. We want to make sure
8 that both parties or all parties know where to find
9 the information that they're looking for. And we
10 felt that if we put a miscellaneous section in
11 there, sometimes somebody would just use
12 miscellaneous and not the individual data elements.

13 The system must capture, of course, the
14 content of the master label with sufficient
15 granularity. That is what Sarah was talking about
16 on the structured template. So I'm not going to go
17 into that much.

18 Of course, we talked a lot about pick
19 lists and EPA-approved language, and there's an
20 optimization potential with using approved language.

21 Of course, we want to minimize errors.
22 You can make things mandatory so that there are
23 certain fields that if they're not filled out, you
24 will not be able to proceed with an automatic
25 receipt confirming the submission of the file. Of

1 course, we think the system should have help and
2 search buttons in case you need a tutorial on how to
3 use the system.

4 The ability to request label changes in
5 the system, that goes back to the two-way system.
6 Being able to make changes by amendment or
7 notification or non-notification in the system off
8 of an approved label would potentially make things
9 easier. And then, of course, you would have to
10 submit a new application if you needed a new label.
11 But there's still the ability to communicate through
12 this system.

13 Next slide. Yeah. So when the EPA was
14 reviewing, of course, we would like there to be a
15 help desk that's reachable by phone or email, sort
16 of an ombudsman-like communication on where the
17 label is or where the package is if you can't see
18 it. Hopefully, you would be able to see it in the
19 system. Of course, we recommend that the tools that
20 we have now would be updated to the digital system,
21 like the Label Review Manual.

22 Of course, we would share initial and
23 subsequent reviews by EPA, which means that the
24 history of the package would be documented in the
25 system so that you wouldn't have to have the same

1 conversations repetitively and that the decisions
2 that were made after the discussions were had would
3 be documented so that at least you could go back and
4 refer, you know, and say, well, we just submitted
5 this six months ago, we discussed it, and here's the
6 result. And that would all be very easy to track
7 and find. We're hoping that that optimizes
8 resources.

9 Of course, the system should be built
10 using modern technology. And I know we've had this
11 discussion and we know the pictures that Ed showed
12 this morning of the -- it's escaping me -- the
13 modems and everything and, obviously, we need to go
14 to the cloud and we need to upgrade the system.
15 That was, you know, sort of what I picture when I
16 think about this bullet. Of course, we need a
17 modern system and we need it to be continually
18 updated with the times.

19 We need to, of course, protect applicant
20 and registrant communications with EPA from public
21 disclosure, where appropriate, of course, meaning
22 that there's certain content that's going to be
23 shared that's CBI and it needs to remain CBI. So we
24 need to make sure that that is protected. Of
25 course, it would be nice to flag the different

1 complexity of different reviews, which reviews had
2 to go to which stations and then which -- you know,
3 if it just needed a chemistry review or a tox review
4 or needed a total review that could be flagged in
5 the system.

6 Of course, an app that was supported for
7 use with third parties, meaning that we could
8 communicate with EPA and enforcement and states and
9 registrants and vendors could all talk on one
10 system. And then the ability to export data to risk
11 assessments and then, of course, determine label
12 changes and different versions and have a compare
13 tool so that you knew what was new and what was
14 present before.

15 And then, of course, the stamp from the
16 EPA -- sorry, Michelle. The document should be, of
17 course, a single source of truth once it's stamped
18 from EPA and then it should be a single source of
19 truth that's used by all the other stakeholders once
20 it's stamped until it's updated again. Of course,
21 the tool could exist to pinpoint outstanding needs
22 from the submission if it was a conditional approval
23 or if it's missing a stability, for example, or
24 anything. Hopefully, the system would be able to
25 flag what requirements are still pending, if any.

1 Of course, it should incorporate version
2 controls and tracked changes so that you can compare
3 the document and, of course, define workflow and
4 validation rules. That would need to be not only
5 outlined, but then, of course, implemented and
6 aligned, and ideally put in the Label Review Manual
7 for everybody to -- or a guidance document for every
8 everybody to be working off of this with the same
9 ideas.

10 And then something that was really
11 important and discussed a number of times is that
12 PPLS and the capturing of the documents and the
13 change of the documents over time is really
14 important. So we would definitely want the
15 database, either PPLS or something comparable, in
16 this system to still exist. We think it's really
17 important because that is a single source of truth
18 and where people go now to look for the latest label
19 that is public knowledge.

20 So I am now going to send it to Michelle
21 to go through the states, the final label.

22 MICHELLE ARLING: Thanks, Lisa.

23 So moving on to the draft printed label or
24 labeling, this is a subset of the master labeling
25 stamped by EPA that moves to the next step of the

1 process where the information is put into a draft
2 label that then goes through the state review and
3 approval process.

4 So here we're talking about needs for the
5 registrants and the states primarily. So definitely
6 we need to have the data file functional across all
7 state registration systems. Recognizing that some
8 states are required to get hard copy files or PDFs,
9 we'd like the option to also allow them to accept
10 the data file and review it that way.

11 Because this should be a subset of the
12 master labeling, the system should allow registrants
13 at this phase to confirm that all the content on
14 their draft printed label comes from the master
15 label, kind of like a double check and then it
16 reduces the chance for errors or missing
17 information. Similarly, we want a mechanism to
18 ensure all federally mandated content is on the
19 label and then verification of the version used from
20 the master labeling that produce the draft printed
21 labeling. And that's just more for version control
22 and tracking of versions of labeling.

23 So moving to the state review process, we
24 want to have a system for states to check that all
25 the content on the draft printed label came from the

1 master label and, again, that federally mandated
2 content. We also talked about it would be really
3 good to have a way for digital communication between
4 the registrant, EPA and states, about any state
5 requested changes to the master label. So this
6 could be a two-way or a three-way system. It would
7 be great if this system could track and allow the
8 registrants to track which states have approved the
9 product registration.

10 Again, Lisa mentioned the ability to flag
11 the complexity of different types of reviews. If
12 it's just a replacement of a graphic, that's
13 different than a whole new use and it would allow
14 the states to prioritize their work.

15 Supplemental labels and distributor
16 product labeling sometimes are not things that are
17 seen by EPA, but the states do review and approve.
18 And so this system should allow for that to be
19 included and then for verification of the contents
20 of distributor product labeling against the parent
21 registration.

22 And the last thing is to consider at this
23 point the validation, sharing, and storage of the
24 state-approved labeling with databases that kind of
25 provide this type of service now, like NPIRS and

1 ALSTAR.

2 So moving on to the stamp from the state
3 of this draft printed labeling, this should be a
4 single source of truth for all subsequent versions
5 of the printed container labeling. The tool should
6 highlight any outstanding needs for submissions.
7 Again, we're looking at version control and tracking
8 the source of the original information. So we need
9 to include a mechanism for version control and
10 tracking changes, and the approved label needs to be
11 stored in a database, ideally that's available to
12 the public.

13 So the last thing I'm going to talk about
14 is the final container labeling. So this could be
15 combined with the user experience in that the final
16 container label is what the user will see. And so
17 we want to kind of marry the requirements for what
18 needs to be on the finer container labeling with
19 what the user needs to see. So there's a little bit
20 of overlap.

21 We talked about the need to have simple
22 language, clear and straightforward language for
23 comprehension, as well as predictable structuring
24 content, which we talked about earlier, with the
25 structured static content, so that the users can

1 find information in the same place every time they
2 look at a label.

3 In addition, at this point, any
4 registrants who didn't have the ability to go
5 through the digital submission and review process
6 should be considered just to ensure they can provide
7 a consistent experience. Then the system should
8 allow mechanisms for addressing changes and
9 mitigations and making information and uses
10 available to users. So right now, for example,
11 users have to check Bulletins Live! for endangered
12 species. And so if that could be included in the
13 labeling in an accessible way for users, it would
14 help streamline the process.

15 And then, finally, the workgroup talked a
16 lot about the utility of using web-distributed
17 labeling to get users a copy of the most recently
18 approved version of the label that matches the
19 container in their hands. So that if there was a
20 new use or a new mitigation, the user could follow
21 those instructions without having to get a newer
22 container of the product.

23 And now I will pass it over to Sarah.

24 SARAH HOVINGA: Yeah, thanks, Michelle.

25 And you'll see some bullets, as Michelle mentioned,

1 it was discussed in the group that in an ideal
2 world, some of the final container labeling and the
3 user experience for the label information could
4 possibly be combined. So I think just to start out
5 on this slide, you know, this includes the actual
6 physical final container label that you'll see on
7 the product, but it could also include other
8 information not on the label.

9 So Michelle gave a great example of the
10 Bulletins Live! Two, so I'll just go with that. So
11 that is considered labeling, but may not be found in
12 full content on the label. And so that's really
13 what that first piece is speaking to.

14 Also, the workgroup talked about how this
15 could be applicable to people that are both
16 physically handling the product -- so you think
17 about the actual pesticide applicators or people
18 that are coming into contact with that application
19 or it could have implications for people that maybe
20 don't handle the product physically, but need the
21 information on the product label. So I just wanted
22 to make sure that those two points came across
23 clearly with the user experience.

24 And so, you know, a lot of what's been
25 talked about before is also relevant here. So

1 information in a database that's easily available,
2 accessible and searchable. For example, being able
3 to identify what states a product is registered in,
4 capturing adverse effects information should that
5 appear, understanding what the rendering needs so
6 what the final visual look is to be for the user.

7 So things like font size, color, visual
8 aids for those with different visual abilities,
9 really the ability to provide easy access to
10 information for users, including multiple language
11 and compliance with what's out there for ADA
12 standards; supporting user's ability to get
13 customized information, so depending on where they
14 are, how they're applying the product, what type of
15 problem they have could be easily done in a --
16 technically, for the digital tools that we have
17 available now and possibly considering some future
18 AI.

19 So artificial intelligence capabilities
20 like a chatbot to get information to users and
21 ensuring this interoperability with the data file
22 and linking to, you know, different application
23 equipment, maybe different applications on your
24 phone. So ensuring that it's available to
25 interoperate, interoperate with third-party pieces

1 from different stakeholders. And we talked about
2 ESA and also ability to print out the information to
3 support compliance.

4 And that's probably a good lead-in to our
5 final slide on this piece, which is the enforcement
6 side of things. And really to, again, you know, a
7 lot of recommendations are coming out of these steps
8 because each step is kind of its own project in this
9 case. And so on the enforcement piece, you know,
10 making sure that where possible, EPA is sharing the
11 structured digital labeling system or approach
12 technology with states and tribes for gaining
13 efficiencies there. Also, understanding that
14 enforcement is complicated. So there's information,
15 you know, coming to the entity, going from the
16 entity, the entity is looking to different sources.
17 There's different versions of the label and
18 labeling. And so just understanding the complexity
19 there. And a lot of these points coming underneath,
20 I think, speak to those two first bullets that I
21 spent a little more time on.

22 So, you know, engaging with the current
23 version of the label, there was a lot of discussion
24 in the group around that. And so just understanding
25 and retaining the capability of verifying that the

1 label used is the approved version. Really
2 providing access to previously approved versions and
3 verifying that they were changed in accordance with
4 the need required there.

5 Understanding that unintended consequences
6 could come from version changes affecting things
7 like trade. So again, kind of understanding the
8 complexity here, checking with distributor labels
9 and aligning with the master label for what was
10 registered at the parent level. Understanding to
11 track and know who's able to use restricted use
12 pesticides and, therefore, you know, legally allowed
13 to purchase them when it comes time to understanding
14 what deadlines are and making sure that
15 stakeholders, like states and tribes, are
16 understanding that.

17 Understanding how to possibly leverage
18 artificial intelligence to match what's physically
19 there on the product and comparing that to currently
20 approved labeling and really understanding how to
21 link some of these use reports back so it's done in
22 a more efficient way as needed and required.

23 And so as you see this process, you know,
24 it was a really great exercise for us to go through
25 as a group because we were really able to utilize

1 the massive amount of expertise and diversity and
2 really capture, at a high level, the needs of what
3 this ideal electronic system would look like at the
4 different steps of the stages according to the
5 different stakeholder groups.

6 And so all of this, you know, we were able
7 to come out with some recommendations, some further
8 recommendations here. And I think I'll just
9 highlight, for time's sake to make sure we have time
10 for questions, some of the bullets that we haven't
11 covered. And so really, again, this structured
12 approach for some short-term wins for quicker
13 submission and review, you know, at first being a
14 voluntary approach, but with some incentives there
15 that really incentivize use and adoption.

16 Understanding that there's a backbone that
17 is quite possibly similar among all pesticide types,
18 but that they will differ in their need for
19 granularity and potentially different data elements.
20 We talked about placeholders, we talked about data
21 elements having a home. Just understanding where
22 the guidance is, where users are utilizing to fill
23 in those data elements that will go on the label.

24 There was discussion about the possibility
25 to add free text. However, we do want to stress

1 that it should be limited and if it can be
2 standardized, that an effort be made there, if not
3 up-front, possibly with later system upgrades.
4 Making sure the information is understandable to
5 audiences, so things like abbreviations and jargon,
6 for example, being minimized, and also being sure to
7 check with different stakeholder groups to ensure
8 comprehension and adoptability of what's being
9 provided here.

10 This exercise was also very important for
11 -- if we're working on a short-term approach now to
12 ensure that the effort up-front is fit for purpose
13 with a future sort of technology. So that exercise
14 was really important for us to do from that
15 perspective as well. And, again, you know, you've
16 heard single source of truth many times.

17 So that would include, you know, label
18 guidance that includes all of the things we've been
19 talking about. So the structure of the data
20 elements for all pesticide products, how these
21 pesticide products may differ, and so leading to
22 different templates, modules, again using that
23 similar backbone, but where the unique elements
24 might be for different pesticide types. And we got
25 a good start there with the antimicrobial and

1 conventional examples, understanding, you know, how
2 to manage and define these options for controlled
3 vocabulary, pick lists, mandatory phrases,
4 validation rules and interoperability rules for some
5 of these data elements where that was identified as
6 possible, and then having that guidance be reflected
7 in the guidance that users need. For example,
8 they're using right now the Label Review Manual, if
9 that was the case, updating this guidance along with
10 the changes that are being made here.

11 So I think I'll hand it over to Michelle
12 for more of the long-term pieces.

13 MICHELLE ARLING: Sarah, I will go over
14 just the highlights of some of the longer-term
15 recommendations. We did talk about pick lists, and
16 while there are a lot of good resources out there,
17 there's a recommendation that we do continue to work
18 with stakeholders to refine and maintain those, also
19 to decide if other structures are needed and then
20 kind of identify the industries and outline the
21 elements that would be needed in those different
22 structures.

23 Definitely measuring the ways to measure
24 the impact of adoption and use of digital labeling.
25 Having a pilot allowing people to test out

1 structured label submissions and capture areas where
2 there is improvement, which aligns with EPA's kind
3 of continuous improvement/refinement of systems
4 approach.

5 And then a big one is to continue working
6 with states to understand their needs for an
7 electronic system, because when we're working with
8 states, there are many more entities than EPA. So
9 finding some commonality there to let us move
10 forward is necessary.

11 And then we've talked about the rest, kind
12 of the digital submission process and workflows and
13 document management.

14 So I will pass it over to Lisa to wrap us
15 up.

16 LISA DREILINGER: Awesome. Thank you
17 both.

18 So as you can tell, we have done a lot of
19 work in terms of what the recommendations are going
20 to be. There's a lot of information and requests
21 and requirements for discussion not only with the
22 agency but our stakeholders. And because of that,
23 we are going to be formalizing our recommendations
24 over the next few months and prepare to obviously
25 make a formal submission to the PPDC in spring of

1 2025.

2 Our proposal is for the next six months
3 for this group to stay and serve as an initial
4 sounding board for the EPA portal feedback, which is
5 supposed to come up in January of 2025, so we can
6 help and support the implementation of that. After
7 spring of 2025, we will assess the needs as to
8 whether or not we've met the charge questions set
9 before us and/or would need to redirect the group,
10 which will be decided after the implementation is
11 underway.

12 So a general thank you to Sarah and
13 Michelle again and the whole group. As you can see,
14 a lot of work went into this and a lot of discussion
15 and a lot of heart. So thank you.

16 JEFFREY CHANG: Thank you. We can open it
17 up for discussion.

18 LISA DREILINGER: It's good that there are
19 no hands. We only left 10 minutes. I'm teasing.

20 JEFFREY CHANG: Just don't be shy.

21 Mily?

22 MILY TREVINO-SAUCEDA: Yes, I truly
23 apologize that I was out for a little bit of time
24 attending a meeting with a funder. Anyway, one of
25 the main reasons why we formed the Farmworker

1 Working Group is because we want to make sure that
2 any of our groups that are working towards -- that
3 are relating their work towards farmworkers, that we
4 always make sure -- I heard most of or a part of
5 your presentation, not all of it, and it looked
6 very, very detailed, and I really appreciate all the
7 time and effort that you put in there.

8 But I just want to make sure that we are
9 considering, in terms of the labels, to be not only
10 bilingual, but done in a way where people will be
11 able to understand the label. And everything that's
12 been said many more times, farmworkers are not
13 provided either a phone or anything so that they can
14 look at information digitally or whatsoever. So I
15 just wanted to mention this.

16 And there's other people that are part of
17 the farmworker group, if you feel that this
18 presentation was covering everything that we have
19 talked about, that's fine with me. I might not have
20 additional comments on this, but just to make sure
21 that we are considering that people that would be
22 reading labels, if it's for part of the farmworker
23 community that would be spraying or using the
24 chemicals, that they would have access to the
25 information in their own language.

1 It's not only Spanish, but there's talks
2 about if there are different languages to, also, you
3 know, take -- you know, be concerned about that.
4 Thank you. I hope I made sense.

5 SARAH HOVINGA: Yeah, you did. You did
6 make sense, Mily. And one of the things that we
7 talked about, which is important to make sure that
8 not everybody is going to, you know, be able to
9 convert or maybe ever convert to a full digital
10 format. But one of the beauties of having the
11 information be in a digital form is it can be
12 rendered, or at the end of the process, produced in
13 whatever format is most applicable for that user
14 group.

15 So if the user group is using a cell phone
16 for that sort of access or whatever sort of system,
17 the data can be rendered in that way. And just like
18 we're doing now with paper copies, it can also be
19 rendered to some sort of paper output. And so that
20 was definitely included in our recommendations to
21 make sure to allow for inclusivity of the different
22 points of access that a user would have to that
23 information.

24 MILY TREVINO-SAUCEDA: Thank you.

25 JEFFREY CHANG: Terry Kippley.

1 TERRY KIPPLEY: Lisa, have you or has your
2 group had a chance to think about what percent
3 improvement this will be in terms of the overall
4 process or savings in time or man hours that
5 ultimately impact the backlog by doing things in a
6 more efficient way, going electronically, and what
7 is that number, so to speak?

8 LISA DREILINGER: Thanks, Terry. We have
9 had that discussion and we do believe that this is
10 certainly a way to drive efficiencies as you can
11 tell by the first few slides that we presented in
12 terms of the process, right? It's about a two-way
13 system that will allow for quick communication, that
14 will allow for some self-certifications, when
15 appropriate.

16 Have we quantified that? No, I don't
17 think that's something -- I don't feel comfortable
18 quantifying it because I think I can't account. But
19 that is something that we can do maybe with the
20 people who are part of the EPA and are on the inside
21 in terms of quantifying the resources and the time,
22 right?. I mean, maybe we can quantify -- on the
23 outside, I can quantify how much time, as a
24 registrant, we're spending on the back and forth or
25 how much time I believe we're spending, right?

1 That's something we could do. We've not yet. I
2 mean, it's a good idea. But the short answer is no.

3 TERRY KIPPLEY: Well, you know, ultimately
4 it would be great -- and maybe it's impossible --
5 that we would say, hey, if we could all get behind
6 this and it meets everybody's needs, all the
7 stakeholders, the farmworkers, et cetera, if at the
8 end of the day, we could improve efficiency by 5
9 percent, that's a big deal for everybody given the
10 constraints that we've talked about earlier today.

11 So I'd encourage any way to help put a
12 number on this to help get our minds around this and
13 create even more energy to try to move this faster
14 because growers are hurting. Growers are really
15 hurting. And there's tremendous science,
16 innovation, technology there at the agency and
17 there's constraints. It's a very difficult job.
18 Anything we do to help the grower, I think it would
19 be great. This looks to me like an exciting
20 opportunity to improve efficiencies and do the smart
21 things faster.

22 So thank you for all the work that this
23 committee is doing.

24 LISA DREILINGER: Thank you. I wrote that
25 down. I'm sure somebody else wrote down, too.

1 SARAH HOVINGA: Yeah. And I think we had
2 included that, and to your point, Lisa, we had
3 talked about it, but not to the point of getting
4 into the detailed metrics of it. But we did
5 identify that metrics to track the efficiencies
6 would be good.

7 And I am generally a positive, optimistic
8 person, but one thing that we also talked about for
9 managing expectations a little bit is a lot of what
10 we're recommending is going to be new, right? And
11 so these efficiencies won't be gained overnight.
12 You know, when you're learning how to do something
13 in a new way and with a new system, perhaps, and
14 maybe with some different stakeholders, it could be
15 more painful at first and hopefully for a short
16 period of time until kind of the efficiencies are
17 obvious that are being gained with this new
18 approach.

19 And so just to put that out there for
20 managing expectations, it's something new and it's
21 going to take time to learn and this will be
22 a journey. As you saw our stages, you know, all of
23 that can't be done overnight. But I think if we
24 take the time to really do each stage, think about
25 it as a whole, but then really do each stage in a

1 quality way, that's the way we're going to get to
2 where we want to be.

3 JEFFREY CHANG: Kimberly?

4 KIMBERLY NESCI: Yes. Hi. Thank you so
5 much for that. Clearly a lot of work has gone into
6 that group, and everything that you pulled together,
7 it was a lot. So thank you.

8 I have sort of two questions and I guess
9 I'll just do them one at a time. The first question
10 I have was why the focus on voluntary versus
11 mandatory? And the reason I'm asking is because I
12 know in order for there to be consistency, there
13 does need to be a level playing field. And I think
14 with a high goal towards a level playing field and
15 labels looking similar for the consumer or for the
16 grower, a mandatory approach might be necessary. So
17 that's my first question.

18 And then my second question is I know that
19 electronic labeling, electronic information is a
20 topic of conversation in many other venues like WSSA
21 and CropLife and other organizations. So I'm
22 wondering how that's being accounted for and
23 capitalized on, how that work is synergizing each
24 other, if your group is working with that, with the
25 other efforts.

1 LISA DREILINGER: Thanks, Kimberly. I can
2 take the first question, and then I'll give Sarah
3 the second.

4 KIMBERLY NESCI: Sure, sure, yeah.

5 LISA DREILINGER: So I mean, basically,
6 there's been discussion about it being voluntary
7 versus mandatory. And we understand, Kimberly, what
8 you're saying, and we feel that our job here is to
9 be facilitators in terms of what the group is
10 telling us and the recommendations that are being
11 made. The discussions, of course, between the group
12 have been very, very, very much in favor of being
13 voluntary and that nobody wants the exact language
14 to be mandated and that there are people that would
15 like to be able to differentiate their products even
16 in the minute ways that are possible. So I hear you
17 and we understand.

18 The overwhelming response so far has been
19 for it to be voluntary. And I think it's really
20 just about retaining freedoms and not having every
21 product look identical. And I think it's going to
22 end up being trial and error because I think in a
23 lot of ways, a lot of the mandated language will end
24 up being identical, and then maybe there's some
25 language that doesn't need to be identical and there

1 could be some flexibilities. And I think that's
2 what we were trying to do with the pick lists that
3 we presented back in spring.

4 We did not obviously re-present the pick
5 lists. We've only touched on them briefly in here.
6 But when we do our final recommendation, I mean, in
7 detail, we will share with the EPA, of course, the
8 proposal of the data elements that --

9 (Interruption)

10 LISA DREILINGER: I think that in terms of
11 there being data elements that have a higher
12 probability of having pick list and very set
13 language, right? And I think, at least for the
14 antimicrobials, you're going to have some very clear
15 data elements where it makes sense and then some
16 very clear data elements like marketing claims,
17 where maybe it makes less sense.

18 So I do think that we should have that
19 open and ongoing dialogue. But what you're seeing
20 is basically there isn't consensus for it to be
21 mandatory, mandatory, mandatory, all the way across
22 the board. So we feel our job is just to share the
23 discussions that have been had and the discussions
24 have resulted in the request for it to be voluntary.

25 KIMBERLY NESCI: Yeah, that makes sense.

1 Lisa, one question about the marketing claims,
2 though, because I do understand, if I'm remembering
3 it correctly, which I may not be, that a lot of the
4 marketing claims are sort of regulated statements
5 about efficacy or target pathogen for the AD
6 chemicals. So I understand wanting to differentiate
7 -- companies wanting to differentiate, but I don't
8 know if marketing claims is the best example of that
9 for the AD products at any rate.

10 LISA DREILINGER: I just meant even in the
11 order of the words that you want to use, right?

12 KIMBERLY NESCI: Okay.

13 LISA DREILINGER: For example, kills germs
14 versus kills bacteria and viruses. Even in the
15 order of the words you're using, right? We're
16 talking about creating a pick list which would
17 determine the order even of the language, right?
18 Because there are some statements like "keep out of
19 the reach of children," where it has to say "keep
20 out of the reach of children," right?

21 And that's all I meant is that I think
22 there are -- it is very easy to identify some data
23 elements where it makes perfect sense to have a pick
24 list and not to have a choice. And then there are
25 other options where you could not possibly put in

1 every order of every word, the possibility. It just
2 doesn't make good sense where, where the meaning of
3 the claim might be the same, but the words that
4 somebody wants to use may not exist on the pick
5 list.

6 To shortly answer your question, the
7 reason why it's voluntary is because that's where
8 the consensus was.

9 KIMBERLY NESCI: Okay, great. Thank you.
10 Sorry.

11 SARAH HOVINGA: Yeah. And just to add on
12 to what Lisa said -- and then I wanted to address
13 your second question, Kimberly -- so, yeah, the
14 discussions so far have been voluntary and I think
15 -- largely, I think it's because a lot of folks, me
16 included, co-chairs included, there's a lot of
17 learning that is still going on in this phase. And
18 so as you saw, we only had the ability to compare
19 two structures and there's more stakeholder groups,
20 more pesticide types that we need to understand.

21 And so from my understanding, kind of
22 jumping to, at least in the short term, a mandatory
23 approach to that would limit the ability of the
24 learning and the stakeholder and really making sure
25 that it's a process that's going to work before at

1 one point, hopefully, the benefits and what we're
2 seeing in terms of the efficiencies make sense for
3 it to be mandatory one day. That would be a hope at
4 least I would like to see. But in the short term,
5 yeah, Lisa's right that the discussions have been
6 more voluntary.

7 And then to your point about interacting
8 with different stakeholder groups, so that was
9 definitely something that we wanted to make sure was
10 happening. Michelle mentioned on slide 7, so we've
11 had the ability to interact with a lot of different
12 groups who are also thinking in this way. The Weed
13 Science Society of America, you gave that example,
14 so they came to give a great presentation about the
15 order, the structure of the label. And so really,
16 you know, hearing what they had to say and
17 incorporating it into what we've been able to work
18 on.

19 You mentioned CropLife America. So
20 there's a digital label or digitization task force
21 that that's happening there. And so we were able to
22 also utilize that. We had them present -- I work in
23 that group, too. So we came to present on the --
24 what would work for agricultural products in terms
25 of the structure of the label. So really trying to

1 understand -- and just to mention another one, you
2 know, DPR from California came to present on their
3 CalPEST system. So we got to see some of this in
4 practice.

5 And so all of all of these discussions
6 have really helped us to understand, you know, what
7 pieces we can incorporate in these different stages
8 of the label journey and what would work for these
9 different stakeholder groups. And that's not to say
10 that that's like the one and only time that there
11 should be this interaction. I think it really needs
12 to be this continuous exchange of information and
13 rowing all in the same direction, so to say.

14 KIMBERLY NESCI: Yeah, exactly. That's
15 exactly what I was asking. That's great, Sarah.
16 There are even more than I was aware of on the
17 slide, so thank you. Absolutely.

18 JEFFREY CHANG: Gary?

19 GARY PRESCHER: Yes, Sarah, I appreciate
20 your comments there on that common sense approach
21 short term, and also allowing for, you know, a pilot
22 approach to allow for improvements along the way is
23 going to continue to be very important.

24 Kimberly, I can empathize with your
25 comment about voluntary versus mandatory.

1 Personally having worked as a crop consultant and
2 also on my own farm as an applicator, just an
3 example of, you know, two companies bringing the
4 same AI to the market with two different approaches
5 is a very confusing. An example I would just leave
6 for you to just work through this issue a little bit
7 is one company brought an approach that said, my
8 label, if it's on my label, here's what you can do,
9 and the other company brought the approach, if it's
10 not on my label, go ahead and do what you want to
11 do.

12 So there's just a lot of confusion out
13 there right now. So keep up the strong work and I
14 look forward to your successes in the future.
15 Thanks.

16 SARAH HOVINGA: Thanks, Gary.

17 JEFFREY CHANG: Any final comments?

18 (No response.)

19 JEFFREY CHANG: Great. Well, thank you
20 guys. We can move on to our next session, which is
21 the public comment period.

22 ED MESSINA: Yeah, let me just thank the
23 Label Group before I move on, Jeffrey, and say, you
24 know, great job. I really appreciate the
25 presentation. And when the first group was forming,

1 we were sort of wondering, you know, how would this
2 play into the digital transformation, was the timing
3 right. And I think the timing really was right
4 because it was, you know, laying the groundwork for
5 what we need to think about as we're delivering on a
6 new digital transformation for labels, you know, as
7 we process them and for also publishing them.

8 So I really appreciate the workgroup's
9 efforts here. Thank you for the update.

10 PUBLIC COMMENTS

11 JEFFREY CHANG: We are nearing the end of
12 the first day of this two-day PPDC meeting and we
13 want to give members of the public who have listened
14 a chance to provide comments. Please raise your
15 hand if you're registered to provide comments and
16 are ready to speak. Our technical support team
17 behind the scenes will promote each registered
18 commenter to panelist, which will allow you to
19 unmute your line.

20 Please wait until I call on you, going in
21 order of those listed on the screen first, to turn
22 on your mic, then deliver your remarks slowly and
23 clearly.

24 When you are making your comment, please
25 state your name and affiliation if you have one. We

1 ask that you limit your remarks to three minutes.

2 I'll show a slide when you have 30 seconds left.

3 UNIDENTIFIED FEMALE: Jeffrey, I'm having
4 trouble hearing you.

5 JEFFREY CHANG: Oh, really? Sorry. Can
6 you hear me now?

7 UNIDENTIFIED FEMALE: Yes, that's better.
8 Thanks.

9 JEFFREY CHANG: Should I repeat or are we
10 good?

11 So, yes, public commenters, if you're
12 registered to speak, please raise your hand and
13 we'll call on you. Give me a second. I'm going to
14 share my screen for the public commenters.

15 Up first we have John Bottorff. Let's see
16 who's ready. Is John here?

17 (No response.)

18 JEFFREY CHANG: Okay. Lewis Ross Brown?

19 (No response.)

20 JEFFREY CHANG: Okay. We have Norrulanne
21 Jan. I know you're here, so let me see if this
22 works. Hey, Norrulanne.

23 NORRULANNE JAN: Hi.

24 JEFFREY CHANG: Perfect. You're welcome
25 to speak.

1 NORRULANNE JAN: Okay. And cameras are
2 not on, right?

3 JEFFREY CHANG: You can turn it on if you
4 want, but it's not required.

5 NORRULANNE JAN: Okay, cool. I am not
6 sure how to turn My camera on, so I will just give
7 my comment.

8 I want to echo the sentiments of earlier
9 from Mily and Nathan, specifically, that we
10 appreciate EPA's hard work thus far, and we know
11 that you all are in a tough position. But, again,
12 we know and appreciate all of the work that you've
13 done, even if it doesn't feel like it at times.

14 And on that note, I'm here to say that we
15 think EPA should assess exposure for direct spray
16 drift, which is movement of the spray plume that
17 then settles on people or elsewhere other than the
18 intended target. EPA is not currently assessing
19 risk for this pathway of exposure, but it should for
20 three reasons.

21 First, EPA's incident reports for some OP
22 pesticides show that there are documented instances
23 where workers recount feeling droplets from
24 applications happening way further from them.

25 Second, the existing protections, such as

1 the "do not contact" label provision, are both
2 necessary and insufficient to protect against this
3 specific pathway of exposure. Incident reports,
4 again, they show that label noncompliance is
5 happening, and if it's occurring, it should be
6 accounted for.

7 And, finally, while we appreciate the
8 EPA's efforts to strengthen the application
9 exclusion zone, we know that the zone is
10 insufficient to protect against this specific path
11 of exposure in two ways. First, reliable studies
12 and modeling show that drift can travel much further
13 than the zone's maximum, which is 100 feet. And
14 while it requires workers and their families to
15 leave the zone, they can then return immediately to
16 sprayed areas and areas immediately adjacent to
17 sprayed areas where they will come into contact with
18 pesticide spray and residues.

19 So we look forward to working with EPA as
20 it figures out whether and how to assess risks of
21 exposures from direct spray drift.

22 Thank you.

23 JEFFREY CHANG: Thank you.

24 Verna Stillwaugh. Yes, I See you're here.

25 VERNA STILLWAUGH: Good afternoon. I am

1 Verna Stillwaugh. Can you hear me okay?

2 JEFFREY CHANG: Yes.

3 VERNA STILLWAUGH: Okay, thank you. Sorry
4 about that.

5 Good afternoon. I am Verna Stillwaugh. I
6 am the Vice President for Scientific Affairs at the
7 Northwest Horticultural Council. We are based in
8 Yakima, Washington. We represent the growers,
9 packers, and shippers of apples, pears, and cherries
10 in Washington, Oregon, and Idaho.

11 My comment is regarding insecticide
12 resistance. We thank EPA and other agencies for all
13 the great work that they have been doing for
14 engaging with stakeholders. Tree fruit growers in
15 the Pacific Northwest grow their crops using science
16 and research-based best practices. They perform
17 integrated pest management practices. They scout.
18 They use economic injury levels and they monitor and
19 have resistance management programs for several
20 pesticides.

21 Growers don't use pesticides unless they
22 have to because costly. And in some cases, they
23 have eliminated the use of conventional pesticides;
24 for example, if there is a biological counterpart or
25 an organic counterpart. All of this is considered

1 in resistance management programs, all with the
2 purpose and the goal of managing resistance.

3 What is needed is new alternatives to
4 conventional pesticides for which resistance has
5 been developing with the recent cancellations, for
6 example, of fungicides that are multi-site in mode
7 of action. These are pesticides for which the
8 evolution of resistance is delayed or is not
9 possible because they target multiple sites in the
10 pest. And more in new products or alternatives to
11 conventional fungicides are needed so growers can
12 have enough tools to grow food and, at the same
13 time, outcompete pests and diseases.

14 We continue in the support of science,
15 risk assessment, regulatory policies such as those
16 required by FIFRA. And our growers want to continue
17 to produce quality and healthy crops, but they need
18 to be able to outcompete pests.

19 Thank you very much for your attention.

20 JEFFREY CHANG: William Jordan, are you
21 here with us?

22 (No response.)

23 JEFFREY CHANG: Okay. Would anyone else
24 from the public like to make a comment?

25 We have Kathy who has their hand raised.

1 I'm not sure if this is an accident or -- I think
2 that is it.

3 We have made it through the full slate of
4 public comments. A sincere thank you to our
5 workgroup chairs who presented today, to our PPDC
6 members, members of the public, who listened in and
7 shared their views, and to all of the support staff
8 that made today's session possible.

9 We will reconvene at 11:00 a.m. tomorrow
10 using the same Zoom for Government link as today.

11 That's it for me. Thank you for your
12 participation today, and I'll hand it over to Ed
13 Messina to offer final words and adjourn the
14 meeting.

15 Ed?

16 ED MESSINA: Thanks, Jeffrey. Thanks
17 everyone for participating, for a great agenda
18 today. Look forward to a jam-packed agenda tomorrow
19 as well. So as Jeffrey indicated, we will be
20 convening at 11:00, if you'd like to join a couple
21 minutes early to make sure that, you know,
22 connections are stable and everything. We'll get
23 started at 11:05 with Endangered Species Act update,
24 Farmworker Workgroup update, Drone Risk Assessments
25 and Spot Treatments, Biocontrol, including

1 jurisdictional issues, and then a session on Moving
2 Forward and Meeting Closing, where we'll talk about
3 any other items that were discussed the last two
4 days, and then future potential meeting topics that
5 the PPDC members would like to see surfaced for the
6 next meeting. And then we'll conclude with public
7 comments and we'll adjourn at 5:00, as we did today,
8 a little early.

9 Thanks, everyone. Have a great night.

10 (Day 1 adjourned.)
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25